

01 EXAMINATION UNDER OATH
02 OF
03 JOEY ANTHONY DAVIS
04
05
06 Taken pursuant to Notice by Autumn D.
07 Furby-Pritt, a Court Reporter and
08 Notary Public in and for the State of
09 West Virginia, at Department of
10 Environmental Protection, 1101 George
11 Kostas Drive, Logan, West Virginia,
12 on Thursday, March 9, 2006, at 1:33
13 p.m.

14

15

16

17

18

19

20

21

22

23 Any reproduction of this transcript
24 is prohibited without authorization
25 by the certifying agency.

01 A P P E A R A N C E S

02
03 WILLIAM J. FRAN CART, P.E.
04 Mine Safety & Health Administration
05 Pittsburgh Safety and Health
06 Technology Center
07 Ventilation Division
08 P.O. Box 18233
09 Cochrans Mill Road
10 Pittsburgh, PA 15236
11
12 KEITH E. BELL, ESQUIRE
13 U.S. Department of Labor
14 Office of the Solicitor
15 1100 Wilson Boulevard
16 Arlington, VA 22209-2296
17
18 KENNETH MURRAY
19 District Manager
20 U.S. Department of Labor
21 Mine Safety and Health Administration
22 Coal Mine Safety and Health
23 District 6
24 100 Fae Ramsey Lane
25 Pikeville, KY 41501

3

01 A P P E A R A N C E S (cont.)
02
03 WILLIAM TUCKER
04 West Virginia Office of Miners'

05 Health, Safety & Training
06 142 Industrial Drive
07 Oak Hill, WV 25901
08
09 ANTHONY BURKE
10 CMS&H Inspector
11 U.S. Department of Labor
12 Mine Safety & Health Administration
13 Whitesburg Field Office
14 704 Highway 2034
15 Whitesburg, KY 41858
16
17 DOUG COON
18 Sales/Engineering Director
19 Pyott-Boone Electronics, Inc.
20 A Fetterolf Group Company
21 P.O. Box 809
22 Route 650 Wittens Mill Road
23 Tazewell, VA 24651
24
25

4

01 A P P E A R A N C E S (cont.)
02
03 ALSO PRESENT:
04 EUGENE WHITE
05 BETH SPENCE
06 DENNIS BEITER

07 CHARLES POGUE
08 STEVE COX
09 ANTHONY WEBB
10 RONALD STAHLHUT
11 DANNY COOK
12 C.A. PHILLIPS
13
14
15
16
17
18
19
20
21
22
23
24
25

5

01 I N D E X

02

03 WITNESS: JOEY ANTHONY DAVIS

04 QUESTIONS

05	By Mr. Francart	17 - 39
06	By Mr. Tucker	39 - 42
07	By Mr. Francart	42 - 59
08	By Mr. Tucker	59 - 60
09	By Mr. Francart	60 - 61

10 CERTIFICATE 66

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

6

01 EXHIBIT PAGE

02 PAGE

03 NUMBER DESCRIPTION IDENTIFIED

04 A Printout 34

05 B Single-page printout 34

06

07

08

09

10

11

12
13
14
15
16
17
18
19
20
21
22
23
24
25

7

01 P R O C E E D I N G S

02 -----

03 MR. FRANCCART:

04 My name is Bill
05 Francart. We met at the mine
06 before. I represent the Mine
07 Safety & Health
08 Administration, which is an
09 agency of the United States
10 Department of Labor. I'm a
11 member of MSHA's accident
12 investigation team that is
13 charged with the investigation
14 of the accident that occurred

15 at the Aracoma Coal Company,
16 Inc., Aracoma Alma Mine Number
17 One, on January 19th, 2006.

18 This is a joint
19 investigation that MSHA is
20 conducting with the State of
21 West Virginia. I'll be asking
22 the questions today for MSHA.

23 Here with me today are other
24 members of MSHA's team and the
25 State's team. MSHA's team

8

01 includes various specialists
02 and members of the Solicitor's
03 Office in Arlington, Virginia.

04 At this time, I would
05 like each of the members of
06 MSHA's team to identify
07 themselves to you and for the
08 record. We'll start with
09 Keith.

10 ATTORNEY BELL:

11 Hi, Joey. I'm Keith
12 Bell, from the Solicitor's
13 Office in Arlington, Virginia.

14 MR. WEBB:

15 I'm Anthony Webb with
16 MSHA in Pikeville, Kentucky.

17 MR. POGUE:
18 Charlie Pogue with MSHA
19 in Hunker, Pennsylvania.

20 MR. STAHLHUT:
21 Ron Stahlhut, MSHA,
22 Vincennes, Indiana.

23 MR. BEITER:
24 Denny Beiter,
25 Triadelphia, West Virginia.

9

01 MR. MURRAY:
02 Kenny Murray,
03 Pikeville, Kentucky.

04 MR. BURKE:
05 And I'm Tony Burke,
06 MSHA, Whitesburg, Kentucky.

07 MR. FRANCCART:
08 Joey, here also today
09 is a representative from the
10 State of West Virginia. Mr.
11 Bill Tucker will be asking the
12 questions for them today, and
13 he'll provide you an opening
14 statement also.

15 MR. TUCKER:
16 The West Virginia
17 Office of Miners' Health,
18 Safety & Training is
19 conducting this interview

20 session jointly with MSHA, and
21 we are in agreement with the
22 procedures outlined by Mr.
23 Francart.

24 However, let me make it
25 clear that the Director

10

01 reserves the right, if
02 necessary, to call or subpoena
03 witnesses or require the
04 production of any record,
05 document, photograph or other
06 relevant materials necessary
07 to conduct this investigation.

08 Joey, my name is Bill
09 Tucker. I'm with Miners'
10 Health, Safety & Training and
11 work out of the Oak Hill
12 office.

13 MR. COOK:

14 I'm Danny Cook,
15 electrical inspector out of
16 the Danville office.

17 MR. PHILLIPS:

18 C.A. Phillips, Miners'
19 Health, Safety & Training,
20 Charleston, West Virginia.

21 MR. COX:

22 Steve Cox, Region
23 Three.
24 MR. WHITE:
25 Eugene White, District

11

01 Inspector, Region Three,
02 Danville.

03 MS. SPENCE:
04 Beth Spence, with the
05 Governor's Office.

06 MR. FRANCCART:
07 Joey, this
08 investigation is being
09 conducted by MSHA and the
10 State of West Virginia to
11 gather information to
12 determine the cause of the
13 accident and to help prevent
14 this from happening in the
15 future. The interviews that
16 we conduct are important parts
17 of the investigation.

18 After we complete the
19 investigation, MSHA will issue
20 a written report detailing the
21 nature and causes of the
22 accident. We make those
23 reports available to the
24 public in the hope that

25 greater awareness about the

12

01 causes of the accidents can
02 reduce their occurrence in the
03 future. Information obtained
04 through witness interviews is
05 frequently included in these
06 reports and your statement may
07 also be used in other
08 enforcement proceedings.

09 I thank you in advance
10 for your appearance here
11 today. We appreciate your
12 assistance in this
13 investigation. And the
14 willingness of anyone that has
15 any information associated
16 with this accident is critical
17 to our success for making the
18 mines safer.

19 This interview with
20 Joey Davis is being conducted
21 under Section 103(a) of the
22 Federal Mine Safety & Health
23 Act of 1977, as part of an
24 investigation by the Mine
25 Safety and Health

13

01 Administration into the
02 conditions, events and
03 circumstances surrounding the
04 fatalities that occurred at
05 the Aracoma Alma Mine Number
06 One, located at Route 17
07 North, Bandmill Hollow Road,
08 Stollings, West Virginia,
09 25646.

10 This interview is being
11 conducted at the West Virginia
12 Department of Environmental
13 Protection, Division of Mining
14 and Reclamation, in Logan,
15 West Virginia, on March 9th,
16 2006, and the current time is
17 approximately 1:37 p.m.

18 Can I call you Joey?

19 MR. DAVIS:

20 Yes, sir.

21 MR. FRAN CART:

22 Joey, this interview
23 will begin by asking you a
24 series of questions. Feel
25 free at any time to clarify

14

01 any statements that you make
02 in response to any of the
03 questions that we ask. After

04 we finish asking the
05 questions, you'll have an
06 opportunity to make a
07 statement of your own and
08 provide any other information
09 you think may be valuable to
10 the investigation.

11 You are permitted to
12 have a representative with you
13 during the interview, and you
14 can consult with him at any
15 time. You may designate any
16 person to be your
17 representative. And following
18 the questions by both MSHA and
19 the State, your representative
20 will be given the opportunity
21 to ask questions for the
22 purpose of clarification on
23 anything we've discussed.

24 Your statement is
25 completely voluntary. And you

15

01 may refuse to answer any
02 question, and end the
03 interview at any time. If you
04 don't understand a question,
05 let me know. We'll rephrase

06 it and clarify that for you.

07 You may request the
08 opportunity to make a
09 confidential statement, which
10 we will withhold from the
11 public to the extent allowed
12 by law. Should you desire to
13 make a confidential statement,
14 you should advise me before I
15 begin your interview so that
16 we can reschedule in order to
17 properly consider your
18 request. Would you like a
19 confidential interview?

20 MR. DAVIS:

21 No.

22 MR. FRANCAERT:

23 We do have a court
24 reporter here today recording
25 your interview, and later

16

01 there will be a written
02 transcript of the interview
03 produced. So we ask that all
04 of your answers be stated
05 verbally because we can't
06 record gestures such as
07 nodding your head or shaking
08 your head no.

09 Neither the transcript
10 nor the contents will be
11 released to the public until
12 the MSHA investigation is
13 completed and the accident
14 report is released, or
15 required by court order, or if
16 public hearings on the
17 accident are held.

18 If any part of your
19 statement is not based on your
20 own first-hand knowledge but
21 on information you've learned
22 from someone else, please let
23 us know that, too. We may not
24 ask all the questions to learn
25 exactly what you know about

17

01 this incident, but if you have
02 information, please don't feel
03 limited by the questions that
04 we ask, so that we get the
05 complete picture of what
06 happened here at Alma.

07 Do you have any
08 questions about the manner in
09 which the interview will be
10 conducted?

11 MR. DAVIS:

12 No, sir.

13 MR. FRANCCART:

14 We'll ask the court
15 reporter to administer the
16 oath.

17 -----
18 JOEY ANTHONY DAVIS, HAVING FIRST BEEN
19 DULY SWORN, TESTIFIED AS FOLLOWS:

20 -----

21 BY MR. FRANCCART:

22 Q. Joey, can you please state
23 your full name and address for the
24 record.

25 [REDACTED]

[REDACTED]

[REDACTED]

[REDACTED]

[REDACTED]

[REDACTED]

[REDACTED]

06 Q. Joey, are you appearing
07 voluntarily at this interview?

08 A. Yes, sir.

09 Q. Has anyone made any promises
10 to you for giving this statement or
11 offered you any rewards in exchange
12 for making your statement?

13 A. No, sir.

14 Q. Has anyone threatened you or
15 warned you not to provide this
16 statement?

17 A. No, sir.

18 Q. Do you understand that you may
19 refuse to answer any question or
20 terminate this interview at any time?

21 A. Yes, sir.

22 Q. And do you have a
23 representative with you today?

24 A. Yes, sir.

25 Q. And would you please identify

19

01 him?

02 A. Doug Coon.

03 MR. FRANCCART:

04 Welcome, Mr. Coon.

05 MR. COON:

06 Thank you.

07 BY MR. FRANCCART:

08 Q. Joey, most of my questions are
09 going to deal with technical details
10 of the Pyott-Boone system, but we
11 also have some other questions for
12 you, so please bear with us as
13 everyone here is really wanting to
14 know some of the technical details of
15 things that we've learned in the

16 investigation.

17 For the record, though, can
18 you tell me who is your employer?

19 A. Pyott-Boone Electronics.

20 Q. And what is your current job
21 title?

22 A. Computer technician.

23 Q. And how long have you had that
24 position?

25 A. Two years.

20

01 Q. And what type of work do you
02 do in that position?

03 A. I do computer repair. I do
04 computer service in the field.

05 Q. Can you tell me, what is your
06 company's relationship with Alma
07 Number One Mine?

08 A. They're a customer of
09 Pyott-Boone, which use our products
10 for monitoring underground.

11 Q. Can you specify what products
12 they use?

13 A. CO monitors, belt bosses,
14 UPSs.

15 Q. Did you assist in any of the
16 installation of that system?

17 A. No, sir.

18 Q. Have you assisted in similar

19 systems in other mines?
20 A. Yes, sir.
21 Q. Now, what was the last time
22 you visited the mine?
23 A. Aracoma Alma?
24 Q. Yes.
25 A. Last Thursday. I don't know

21

01 the date.
02 Q. And what was the purpose of
03 that visit?
04 A. It was to meet with you guys
05 to archive the event log to the jump
06 drive for purposes for you to look at
07 on the event log.
08 Q. And can you explain for the
09 record what you did to accomplish
10 that request?
11 A. At the mine site?
12 Q. Yes.
13 A. When I first arrived, I
14 checked the software, which wasn't
15 the latest version of the software to
16 archive. So I had to put the event
17 log .dll in the new one, which would
18 let you archive it. Once I did that,
19 I went to the event log to retrieve
20 the information, and it wasn't there.

21 Q. In your experience, have you
22 seen this happen before?

23 A. No.

24 Q. Do you know what would cause
25 those files to disappear?

22

01 A. No, sir.

02 Q. Would a person have to
03 physically remove those files from
04 the computer system?

05 MR. COON:

06 May I speak with him a
07 minute?

08 MR. FRANCCART:

09 Sure.

10 MR. COON:

11 Go off the record,
12 please.

13 WITNESS AND REPRESENTATIVE CONFER

14 BY MR. FRANCCART:

15 Q. I'd like to rephrase that last
16 question for you. Do you have any
17 idea how files can be lost from a
18 computer system?

19 A. No.

20 Q. As you may know, the computer
21 at Alma Number One that is connected
22 to the Pyott-Boone system was taken
23 into evidence. And we are having

24 that computer looked at to see if
25 there's any way we can recover those

23

01 files that were missing. If we do
02 find those files, are we going to
03 need you to download those for us so
04 that we can use those files? Or is
05 it something that we'll be able to do
06 ourselves?

07 A. You should be able to do it
08 yourself, I mean, if you have any
09 idea of how to use a computer. It's
10 very simple.

11 Q. There's no special software
12 we'll need to extract that?

13 A. No, sir.

14 Q. Okay.

15 A. If you use the jump drive,
16 it's just --- you have to use the
17 letter drive that's indicated on the
18 machine, like D drive or E drive.

19 But if you use a CD and burn it to a
20 CD, it has to be formatted, a
21 formatted CD.

22 Q. Thank you. The day that you
23 came to extract those files for us,
24 after MSHA and the state
25 representatives left the mine, did

01 you do any further work on the
02 system?

03 A. You mean after they took the
04 computer?

05 Q. No. Before the computer was
06 taken, we were there and we found
07 that the files weren't on the
08 computer. Then we left the mine.
09 But you remained at the mine. Did
10 you do any more work on the computer?

11 A. No, sir.

12 Q. Did the company ask you to
13 work on the computer at all?

14 A. No, sir.

15 Q. Thank you. Did they show some
16 concern over the files being missing?

17 A. Yes.

18 Q. Did anybody from the company
19 interview you regarding what you
20 found?

21 A. No, sir.

22 Q. Did you speak to anybody about
23 what happened?

24 A. I spoke with someone on the
25 telephone, but I don't remember who

01 it was, and he asked me about what
02 was missing. And I told him that the

03 log file was missing. But I don't
04 remember exactly who it was.

05 Q. You don't remember the name?

06 A. No.

07 Q. If we said a name, would you
08 recognize the name?

09 A. Maybe. I don't --- I mean, I
10 don't remember right off hand, I
11 mean.

12 Q. Would it be Mark Heath?

13 A. It don't sound very familiar.

14 Q. Dave Hardy?

15 A. No.

16 Q. Okay. Thank you. We have a
17 lot of technical questions for you.
18 The first one, on calibrations of
19 sensors and whether or not --- if you
20 do calibrate a sensor, is that an
21 event that is logged into the file?

22 A. Yes, sir. If their event log
23 is running on the machine, if they
24 calibrate a unit, it will show on the
25 event log that the unit was

01 calibrated, the beginning calibration
02 when it was calibrated and end
03 calibration.

04 Q. And that calibration, is that

05 something that the company could
06 disable so that that would not show
07 up on the record?

08 A. No.

09 Q. So if any sensor was
10 calibrated, it would show up in that
11 log?

12 A. Yes, sir, if it's actually
13 communicating to the system.

14 Q. And that calibration, it does
15 --- like you said, it shows the start
16 and stop and also shows a
17 concentration of CO calibrated to.

18 What does that mean?

19 A. What that does, it just ---
20 you calibrate it to whatever the
21 parts per million the gas bottle you
22 use. It can be calibrated at 25
23 parts per million or 50 parts per
24 million.

25 Q. Now, what would you expect to

27

01 see on a typical calibration as far
02 as that value?

03 A. Well, normally you would see
04 the beginning calibration, which
05 would show you zero, and then it
06 would show next the calibrated to.

07 If they was using 25 parts per

08 million gas, it would show 25 parts
09 per million, and then on the event
10 log it would show end calibration.
11 Q. What would you expect to see
12 cause for a message such as
13 calibrated to zero parts per million?
14 A. If it says calibrated to zero
15 parts per million ---
16 Q. Yes.
17 A. --- during calibration?
18 Q. Yes.
19 A. Possibly not any gas being put
20 on it or --- I don't know.
21 Q. Would you expect that to be a
22 proper calibration?
23 A. No.
24 Q. In one of your answers you
25 said if an event log is running. Can

28

01 you explain what that means?
02 A. If they have actually added
03 that module to the master database,
04 which means address it and ---
05 because if you don't add it, the
06 event log, I mean, if it's not there,
07 it's not going to be recording data.
08 So I mean, if you remove it, then
09 you're not recording any data.

10 Q. So can the system be operated
11 without the event log being created?

12 If you hook up a sensor and didn't
13 have it addressing the event log,
14 could it still operate?

15 A. You should have a printer, and
16 the printer will give you the same
17 information the event log does. It
18 just prints it out then, when it
19 happens. All the event log does is
20 just store the information.

21 Q. Thank you. Is there any way
22 the company can change the
23 programming --- I may have asked you
24 this before --- change the
25 programming on the calibration so it

29

01 would have to show up on the log?

02 A. Yes, sir.

03 Q. Thank you. One feature that
04 we noticed on the printout was
05 expired calibrations. And I think
06 that's a real nice feature. So after
07 30 days, you get a message that a
08 sensor needs calibrated; is that
09 correct?

10 MR. COON:

11 I've never seen an
12 expired calibration.

13 A. Can you rephrase that? Can
14 you say that one more time?
15 BY MR. FRANCCART:
16 Q. Yes. I think I have a page
17 here that was printed out with that
18 message. I thought I did. Yeah,
19 there it is. So this is something
20 new for you, huh? Maybe this is
21 something the company did somehow. I
22 don't know. This is a copy of the
23 Alma printout that we got from them.
24 And I think you downloaded this for
25 them at one point. See the bottom of

30

01 this page --- and I'm going to mark
02 that page with a red X so we can
03 identify it in the record.

04 REPRESENTATIVE AND WITNESS CONFER

05 A. That's the first time I've
06 seen it.

07 BY MR. FRANCCART:

08 Q. The first time you've seen
09 that?

10 A. The first time I've seen it.

11 MR. COON:

12 We'd have to talk to
13 our ---

14 A. Software engineers.

15 MR. COON:
16 --- software people to
17 find out if this is valid.

18 MR. FRANCCART:
19 Okay.

20 MR. COON:
21 We don't know.

22 A. No, I can't say. I've never
23 seen it before.

24 BY MR. FRANCCART:

25 Q. Thank you. I did go back and

31

01 look and it seems like it does, after
02 30 days, give you this message after
03 previous calibrations. Maybe we can
04 contact you later about that. Thank
05 you.

06 Ruins four of my questions.
07 Let's go on to the remote alarms that
08 you put on the sections. You have an
09 805C alarm unit. Now, when that's
10 hooked up to the system --- first of
11 all, are you familiar with the set-up
12 on the longwall at Alma, how that
13 alarm is hooked up?

14 A. The 805C?

15 Q. Yes.

16 A. Yeah.

17 Q. Do you know if it goes through

18 a Blue Outstation to go to that
19 alarm?

20 A. I'm not for sure. I
21 don't ---.

22 MR. COON:

23 All we can say is it's
24 supposed to.

25 MR. FRANCCART:

32

01 It's supposed to.

02 BY MR. FRANCCART:

03 Q. You have never looked at it,
04 though, to see ---?

05 A. I've never been underground
06 there.

07 Q. Okay.

08 MR. COON:

09 Now, is this the
10 headgate?

11 MR. FRANCCART:

12 Yes.

13 MR. COON:

14 It's in a return area?

15 MR. FRANCCART:

16 It's within 150 feet of
17 the face.

18 MR. COON:

19 Okay. Then it should

20 be through a Blue Outstation.

21 MR. FRANCCART:

22 It should be through a

23 Blue Outstation.

24 BY MR. FRANCCART:

25 Q. But I wanted to know if you

33

01 had actually seen their installation?

02 A. I've never been underground

03 there.

04 Q. Well, I'll explain it to you,

05 how it's hooked up. They have a line

06 coming into a junction box and then a

07 line comes out of the junction box,

08 into the alarm unit, from the alarm

09 unit into a sensor on the headgate.

10 Now, as far as that particular alarm

11 unit is concerned, what sensors would

12 activate that alarm?

13 A. If they have the section alarm

14 set up, then whatever section alarm

15 --- I mean, whatever COs they have in

16 that section alarm module will set

17 off that 805C.

18 Q. So that would be something

19 that the company would have to

20 program themselves?

21 A. See, the 805 --- I mean, the

22 section alarm is in the software.

23 They can add it if they want to use
24 it. Then they just add the source of
25 this which is the COs outby that they

34

01 want to set that section alarm off.
02 And then they would have to give it a
03 target device, which is the actual
04 unit that the 805C is hooked to.

05 Q. What would that alarm
06 activation look like on a printout;
07 do you know?

08 A. No.

09 Q. I have another exhibit here
10 we'll mark as Exhibit B. The last
11 printout we looked at was Exhibit A
12 Davis.

13 (Davis Exhibits A and B
14 marked for
15 identification.)

16 BY MR. FRANCCART:

17 Q. This is another page from that
18 printout that you downloaded for us.
19 If you could just look at --- I'm
20 going to show you an area here to
21 look at. You probably don't know
22 where these sensors are underground,
23 but sensor number 82, which is
24 indicating an alarm, has gone into

25 the alarm state. Sensor 102 is at

35

01 the headgate and the alarm is hooked
02 up through that sensor. And what our
03 question is, is this a typical
04 response to indicate that the alarm
05 unit has been activated?

06 A. That one would lead to the
07 alarm. This one would have been the
08 section alarm.

09 MR. COON:

10 102 is part of the
11 alarm system is what you're
12 saying?

13 A. No. That is the section
14 alarm.

15 MR. COON:

16 That would be the
17 section alarm.

18 A. And that's one 805C would
19 be ---.

20 MR. COON:

21 And you can see
22 that ---.

23 A. The alarm that sets.

24 MR. COON:

25 See, it's zero parts

36

01 per million. So some other CO

02 set it off?

03 A. That's saying that that

04 section alarm --- and that's on the

05 target source list because it set it

06 off, because it's telling you the

07 reading is zero that it's getting.

08 BY MR. FRANCCART:

09 Q. So sensor 102 is at zero parts

10 per million at that point?

11 A. Yes.

12 Q. And the 82 sensor has

13 activated the section alarm?

14 A. Yes, sir. Because it's

15 telling you right here, the alarm ---

16 it's in alarm, but it's reading parts

17 per million.

18 Q. Okay. Very good. We see in

19 that same area that I've marked in

20 pen it says alarm latch set. Can you

21 tell us what that means?

22 A. Well, alarm latch set deals

23 with setting the 805C off.

24 Q. Okay.

25 A. Once that's set, the 805C will

37

01 be going off.

02 Q. And how is that alarm reset?

03 Is that something ---?

04 A. As long as these units are
05 still in alarm, this will stay in
06 alarm.

07 Q. Is there any way to silence
08 that alarm at the headgate?

09 A. Not as long as these are in
10 alarm.

11 Q. Okay. Do you see any place on
12 there where the latch is reset?

13 A. Alarm latch reset.

14 Q. When we've got that message,
15 does that mean that the sensors that
16 have activated the alarm are no
17 longer in alarm?

18 MR. COON:

19 Here's 82.

20 A. Okay. I see it. Now it's
21 resetting. Alarm cleared.

22 MR. COON:

23 I don't see where 82
24 has been reset.

25 A. Uh-uh (no).

38

01 MR. FRANCAERT:

02 We'll go off the
03 record.

04 OFF RECORD DISCUSSION

05 BY MR. FRANCAERT:

06 Q. Just to be clear, on the

07 calibration messages that we saw,
08 you're not aware of the calibration
09 expiration message being part of your
10 package that you sell, the computer
11 software?

12 A. No, sir.

13 Q. When you install a junction
14 box on the inby side of the Blue
15 Outstation, do you still maintain
16 permissibility as far as the
17 evaluation and classification of the
18 sensors?

19 A. I don't know that answer.

20 Q. You don't know --- is a
21 junction box permitted to be on the
22 inby side of a Blue Outstation?

23 A. I don't know.

24 Q. Okay.

25 MR. FRANCCART:

39

01 Bill, do you have some
02 questions?

03 MR. TUCKER:

04 I believe we do have a
05 few.

06 BY MR. TUCKER:

07 Q. Is it normal to only get one
08 or two warnings and alarm messages if

09 the CO sensor is --- or if CO is
10 present?

11 A. Repeat that.

12 Q. If CO is present, is it normal
13 to only get one or two warnings or
14 would you continue getting warnings
15 as long as that CO is there at the
16 sensor? How does a system work like
17 that?

18 A. You would continuously get
19 warnings as long as there was CO in
20 that area.

21 Q. Under normal operating
22 conditions, should a sensor show CO
23 if CO is present at time it's
24 scanned. Basically, I guess I'm
25 repeating that question. Every time

40

01 it scans, if you've got CO at that
02 should it show the ---

03 A. Yes, sir.

04 Q. --- levels of CO?

05 A. Yes, sir.

06 Q. How often does it scan, this
07 particular system?

08 A. I'm not a hundred percent sure
09 what the default settings is for the
10 scanner. I would have to look and
11 see.

12 Q. Do you know what the average
13 scan rate is, typically?

14 MR. COON:

15 Does this have to go on
16 the record?

17 MR. TUCKER:

18 We can go off.

19 OFF RECORD DISCUSSION

20 BY MR. TUCKER:

21 Q. So if you're looking at the
22 system and it shows CO only one or
23 two times, then if you're looking at
24 that, would that lead you to believe
25 that the CO level had dropped and

41

01 it's no longer a problem?

02 A. Repeat that.

03 Q. If a sensor showed --- at the
04 master station showed CO only one or
05 two times that it scanned, would that
06 lead you to believe that the CO level
07 had dropped below the warning level?

08 A. If the CO on the master
09 station is reading below a warning
10 level and depending on, you know, the
11 situation that was scanned, yeah.

12 Q. Could you see this as a safety
13 issue?

14 A. No.

15 Q. Do you mind explaining for us
16 how the auto/manual reset feature
17 works?

18 A. On the CO?

19 Q. Yes.

20 A. I really can't explain it
21 because I mean, ---.

22 Q. Okay. That's fine if you
23 can't.

24 A. No.

25 Q. Would a scope meter be

42

01 required in some instances to
02 troubleshoot this particular system?

03 A. For troubleshooting data, yes.

04 Q. So would you say there would
05 be some problems that you couldn't
06 find if you didn't have a scope meter
07 or would be difficult to find without
08 one?

09 A. Yes.

10 Q. Have you ever done any
11 training with your system at Aracoma?

12 A. I haven't.

13 Q. Do you know if any of your
14 people have?

15 A. Yes.

16 Q. There has been some training?

17 A. Oh, yeah.

18 Q. Do you know who that was with?

19 A. I don't, because I didn't do
20 the training, so ---.

21 MR. TUCKER:

22 Thank you.

23 BY MR. FRANCAERT:

24 Q. Joey, we're going to go back
25 onto this Exhibit A that we looked at

43

01 before. I marked a page with a blue
02 X. And this page was from data that
03 was obtained by the system long after
04 there were a number of communication
05 failures and communications dead and
06 there was a power stoppage. But in
07 the printout we see that --- if you
08 look on the date and time, the dates
09 have been intermingled, go from 1/19
10 to 1/20 to 24 and then back to 1/19.

11 And there seems to be some jumbling
12 of the data points. Have you seen
13 this happen before?

14 A. I can't say that I've seen it
15 happen before, but now you can get on
16 the event log and look through the
17 dates, I mean, by certain --- when
18 it's clipped. You know, it clips it

19 at 1.4 meg. Then you can --- and
20 every time it clips it, it'll put it
21 in the archive file span, and you can
22 go through there and arrange your
23 event log and look at current dates
24 by moving to the top or ---.

25 Q. Those event logs, is there any

44

01 way people could go in and change
02 those logs to make them different
03 than what they actually were?

04 A. No.

05 Q. Okay. Thank you. I think we
06 discussed this one other time, but
07 for our entire team, could you
08 clarify the old faithful key switch,
09 the one that's installed underground
10 at Alma, at the head drive, is in the
11 on position when the key is removed.

12 But if the key is removed, does the
13 alarm --- visual and audible alarm
14 still work?

15 A. Yes.

16 Q. You also have, I think, built
17 into the system an automatic alarm
18 when you have two sensors, two
19 consecutive sensors in alert; is that
20 correct?

21 A. Double warning section alarm.

22 Q. That alarm, is it picked up in
23 the system the same way as a regular
24 alarm would be then? So you would
25 have to program your sensor to signal

45

01 the section?

02 A. The way that is based off is
03 --- it's the same thing. It's a
04 section alarm. It's just that if you
05 have any two consecutive COs that
06 goes into a warning will set the
07 section alarm off. The same as if
08 you have one that goes into alarm.
09 So if they have two consecutive COs
10 in warning, it will set the section
11 alarm off.

12 Q. Is that any section alarm or
13 just ---?

14 A. Whichever section alarm they
15 have it tied to.

16 Q. Are you able to calibrate the
17 CO monitors from a surface location
18 or do you have to actually go to the
19 sensor?

20 A. You have to actually be at the
21 physical unit.

22 Q. Do you know if anybody from
23 Pyott-Boone has been to the mine to

24 calibrate any CO sensors recently?

25 A. No, sir.

46

01 Q. Are you aware that the date of
02 the fire was January 19th?

03 A. I'm not aware of that.

04 Q. That's the day that the fire
05 occurred. And the CO system worked
06 very well in detecting the initial CO
07 levels. And we feel that the system
08 did an excellent job, in fact, what
09 it was designed to do.

10 We did have an occurrence on
11 December 23rd where sensors number 81
12 and 82 detected CO and the section
13 alarm was activated. On the day of
14 the fire, sensor 82 did not set off
15 the section alarm. What would you
16 expect to be the reason for that?

17 A. If the unit is not
18 communicating, it will not set the
19 section alarm off because the section
20 alarm is based off of communications
21 and if they have it in the source
22 list to set that section alarm off.

23 Q. What would cause the change
24 from December 23rd to January 19th;
25 do you know?

47

01 A. I have no idea.

02 Q. So if sensor 102 was not
03 communicating with the computer, that
04 alarm would not activate?

05 A. No, sir. The section alarm is
06 based off of communication.

07 Q. On every page on this
08 printout, I believe every page, we
09 see a message, queue set to print.
10 Can you explain that to us, please,
11 what that means?

12 A. What that does is once the
13 printer receives --- the print module
14 basically is printing out a page of
15 data. So once a page of data gets
16 filled up, it will say --- it will
17 tell you that the print queue is
18 printing.

19 Q. Is that something that you can
20 adjust?

21 A. No, sir.

22 Q. Is it based on the printer
23 that you have installed with the
24 system?

25 A. Well, the way the new print
01 module is, it will fill --- once a
02 page of data gets filled up, ever how

03 many lines it is, then it will print
04 a page, unless you ask it to print
05 what's queued up. For example, if
06 there's 15 lines on there, on a print
07 queue, and you want it to print those
08 15 lines, you'd put print queue, and
09 it will print those 15 lines. But
10 other than that, it bases itself off
11 the lines. So however many lines it
12 gets to fill a page, it will print.

13 Q. If I were to go and ask to
14 have a page printed, say I had, like
15 you said, 15 lines, so I had a print
16 queue, and then 15 lines later I had
17 another print queue, would that be
18 recorded as an event in the event
19 log?

20 A. I'm not a hundred percent
21 sure.

22 Q. We did notice that --- and
23 we've had reams of paper to look
24 through on this, but we have noticed
25 that a couple of times where we've

49

01 seen that message just a few lines
02 apart. Would you suspect that that
03 would be that somebody ---

04 A. Possibly.

05 Q. --- requested to print?

06 A. Yeah.

07 Q. Can you tell us what type of
08 file is the log file itself? Is it a
09 file that you would open in Notepad
10 or Word or Microsoft software
11 program?

12 A. If you archive it, you can
13 open it in Notepad or whatever. But
14 I don't know as far as opening it ---
15 you can save it as a text file, but
16 I'm not for sure about that.

17 Q. Okay. Have you had any
18 complaints from Aracoma about a high
19 number of nuisance alarms that aren't
20 related to CO?

21 A. I haven't.

22 Q. Have you had any complaints
23 about a lot of communication failures
24 from them?

25 A. I haven't.

50

01 Q. Would you know if anybody else
02 has at the company?

03 A. I wouldn't. They haven't said
04 nothing to me.

05 Q. Would there be one person at
06 Pyott-Boone that they would contact
07 in particular?

08 A. No, sir.

09 Q. We talked before about the
10 alarm not being recorded for sensor
11 82 on the section alarm. How would
12 we be able to tell --- if we went
13 back into the event log, is there any
14 way we could tell whether or not that
15 sensor was communicating with the
16 system that day?

17 A. Yes, sir.

18 Q. And how would we do that?

19 A. You could look through your
20 event log and see if there was 82
21 come up and said communications dead
22 or communications gained or ---.

23 Q. Number 102 you mean?

24 A. Yeah, whichever one you wanted
25 to see. If it was communicating, it

51

01 would tell you on the event log, you
02 know, that it actually was
03 communicating or lost communications.

04 Q. So if we lost communications,
05 and we didn't get a message
06 communications restored, then we
07 would have to assume that that sensor
08 was not connected ---?

09 A. If I --- yeah. If I seen
10 where it said communications dead and

11 didn't see any other, I would assume
12 it was not communicating.

13 Q. Is there any way that we can
14 tell which sensors are programmed to
15 indicate that that section alarm
16 should be activated, from the
17 printout?

18 A. I don't think there's any way,
19 to my knowledge, that you can tell by
20 the printout which ones will activate
21 the section alarm, because that's
22 just based on the section alarm
23 module itself.

24 Q. So to do that, we would have
25 to physically go to the mine and

52

01 click on those sensors and determine
02 that?

03 A. You would click on the section
04 alarm module. And in that section
05 alarm module, you'd go to your source
06 list and your source list would give
07 you every CO they have wanting to set
08 that target device off, which is the
09 section alarm.

10 Q. Would that also include the
11 double alert or the consecutive alert
12 signals?

13 A. They would have to have it
14 checked to use the double warning
15 section alarm module. And once you
16 clicked on the section alarm module,
17 it would be checked to use a double
18 warning section alarm.

19 Q. I think we talked before about
20 that. To do that, you would have to
21 have them programmed consecutively.
22 If you would go back and add a sensor
23 in between two other ones, that would
24 really screw you up?

25 A. You'd have to --- yeah, you'd

53

01 have to be in consecutive order, as
02 they are underground. Or if not, it
03 wouldn't work correctly.

04 Q. We had a message on one of the
05 printouts that said 1.14 UPS alarm.
06 Can you tell us what that means?

07 A. It just says 1.14 alarm?

08 Q. UPS alarm. Is that a battery
09 backup feature?

10 A. The UPS supplies the voltage
11 to the COs underground. Unless it
12 had a power loss or --- I mean, I
13 don't know why it would have had an
14 alarm. If it lost, you know, 110,
15 then, you know, it could give you an

16 alarm of power loss.

17 Q. What does UPS stand for?

18 A. Uninterruptable power supply.

19 Q. We have a message on one
20 printout that says last obtainable
21 relative CO data is invalid. That
22 came after a period where we had lost
23 communication with a sensor. Do you
24 have any idea what that would be in
25 reference to?

54

01 A. No, sir.

02 Q. On the 805 remote alarm unit,
03 there's a button for audible alarm
04 and visual alarm. What are those
05 buttons for?

06 A. For test purposes, to make
07 sure your audible is --- you can
08 actually test your audible at the
09 unit to make sure it's working, and
10 your visual.

11 Q. To clarify, the download that
12 you obtained prior to those files
13 being lost, could we have obtained
14 this file had the event log been
15 erased at that time?

16 I guess the question is, can
17 you get this printout without the

18 event log?
19 A. No, sir, unless they have the
20 printer working and the actual
21 printer is printing. The printer
22 will print off the same data that the
23 event log is. But if the printer is
24 working, it will give you the same
25 exact printout that the event log

55

01 would receive.

02 Q. But that would give you a
03 printout one time. You wouldn't have
04 it recorded anywhere to go back and
05 recover it?

06 A. No.

07 Q. Do you go underground to do
08 any testing, or are you mainly on the
09 surface?

10 A. Mainly on the surface.

11 Q. Have you gone underground,
12 though, to test sensors?

13 A. Yes, sir.

14 Q. This is another question on
15 scanning. If we have a sensor that
16 goes into alarm on a scan and it's
17 acknowledged by the person on the
18 surface, they actually turn off their
19 alarm, does that message come through
20 on the event log a second time that

21 that sensor is in alarm or does it
22 have to go out of alarm and come back
23 in to get another print?

24 MR. COON:

25 If it stays in alarm?

56

01 A. I don't think. It will have
02 to go out.

03 MR. COON:

04 It will have to go out
05 of alarm ---

06 A. It would have to go out of
07 alarm ---

08 MR. COON:

09 --- and come back.

10 A. --- and then come back in
11 alarm before it will actually begin
12 another printout on the event log.

13 BY MR. FRANCCART:

14 Q. So if I get an alarm on 82
15 sensor right now and as the operator
16 on the surface, I acknowledge it and
17 turn my alarm off, I won't get
18 another activation unless I go out of
19 alarm and come back in? Even if it's
20 scanned again and it shows alarm, it
21 won't give you that second alarm?

22 A. As long as that unit stays in

23 alarm.
24 Q. Okay. Is there anything in
25 the program that would reactivate the

57

01 visual and audible alarms on the
02 surface?

03 MR. FRANCAERT:

04 Go off the record.

05 WITNESS AND REPRESENTATIVE CONFER

06 BY MR. FRANCAERT:

07 Q. When you do get a warning
08 level or an alarm level of CO, do you
09 have to scan that a number of times
10 before you get an actual signal, like
11 you do the communication failure, or
12 is that a one-time thing, you don't
13 have to go back and scan it?

14 A. Immediate.

15 Q. Immediate. What about for
16 communication dead, CO off or any
17 other messages, would it be multiple
18 scans get that?

19 A. (Indicates yes.)

20 Q. So the alarms and the warnings
21 are the only ones that are immediate?

22 A. (Indicates yes.)

23 COURT REPORTER:

24 You have to say it out
25 loud.

01 A. Yes.

02 MR. FRANCCART:

03 Thank you.

04 BY MR. FRANCCART:

05 Q. The source list you talked
06 about for the sensors to be
07 activating the section alarms, is
08 that something that we can download
09 from the computer?

10 A. No. You can't actually
11 download the source list. The only
12 way you can see the source list is
13 actually going to the section alarm
14 and click on the source list to see
15 actual units in the source list.

16 Q. Is that something we'd have to
17 run a print screen on to get a
18 listing if we wanted to do that?

19 A. Yeah. You'd have to actually
20 be in the open software to see.

21 Q. I'm not sure I understand this
22 question, but I'll read it to you and
23 see if you can. If you have airflow
24 reversed in an airway and your alarms
25 are activated in reverse order of

01 normal, would you expect this to

02 affect the alarm on a section?

03 A. Are you referring to the
04 double warning section alarm?

05 Q. Yes.

06 A. I don't know.

07 Q. Is that something perhaps you
08 could test for us, also? Is that
09 possible?

10 MR. COON:

11 We'll ask about it.

12 MR. FRANCCART:

13 Bill?

14 BY MR. TUCKER:

15 Q. I got a couple questions for
16 you, Joey. If a message, belt
17 stopped from a remote station, shows
18 up, does that mean that the belt is
19 shut off from the master station on
20 the surface?

21 A. Yes, sir.

22 Q. Do you recall when you were at
23 the mines last prior to January 19th?

24 A. No, sir.

25 Q. Have you ever noticed any time

60

01 differences on the system as far as
02 the time that it shows on the
03 printout compared to your time, say
04 on your watch?

05 A. I haven't noticed.

06 Q. If you did have a problem, if

07 the time was off, how would you reset

08 it, the clock?

09 A. The time is based off the PC's

10 time. You would just have to adjust

11 the time on the computer.

12 Q. Okay.

13 MR. TUCKER:

14 That's all I have.

15 BY MR. FRANCAERT:

16 Q. Just one last question, Joey.

17 How is the source list stored in the

18 computer?

19 A. It's stored in --- it saves it

20 in the section alarm. It's in the

21 master database. It saves it in the

22 configuration file.

23 Q. I guess the question is, how

24 does the system know when it gets ---

25 I'm sure there's some kind of logic

61

01 built in there when you get those

02 alarms that set these section alarms

03 off. Can you explain to us how it

04 knows whether or not it's supposed

05 to, when you get an alarm, activate a

06 section alarm, the process it goes

07 through in the program, or do you
08 know?
09 A. I don't know the process that
10 it goes through. All I know is that
11 if it's in that source list and that
12 CO goes into alarm, then whatever the
13 target device is, then it sets that
14 target device off. I don't know the
15 logic that it goes through.

16 MR. FRANCCART:

17 Thank you. Do you have
18 any questions?

19 MR. TUCKER:

20 No.

21 MR. FRANCCART:

22 Joey, do you have
23 anything else you'd like to
24 add to the conversation?

25 A. No, sir.

62

01 MR. FRANCCART:

02 Mr. Coon, do you have
03 any questions or comments?

04 MR. COON:

05 No, sir.

06 MR. FRANCCART:

07 On behalf of MSHA and
08 all of our investigators, we
09 thank you for appearing here

10 today, Joe, and answering all
11 our questions and sharing your
12 information about the mine.
13 Your cooperation is very
14 important to us as we work to
15 determine the cause of the
16 accident and prevent accidents
17 from happening in the future.

18 Again, if you wish, you
19 may now go back over any
20 answer you've given during the
21 interview and make a closing
22 statement if you'd like to on
23 any points that you believe we
24 should talk about.

25 A. I don't have any closing

63

01 statements.

02 MR. FRANCCART:

03 Thank you. We do ask
04 that you not discuss your
05 interview today with any
06 persons who may have already
07 been interviewed or may be
08 asked to give a statement in
09 the future. This will ensure
10 that we obtain everyone's
11 independent memory of the

12 events surrounding the
13 accident.

14 After questioning other
15 witnesses and obtaining
16 additional information, we may
17 be asking you back for further
18 questions. If at some point
19 you have additional
20 information you think that we
21 should know about, if you
22 could contact either Mr. Kenny
23 Murray or Anthony Webb ---
24 they're in our Pikeville
25 office. They'd be more than

64

01 happy to hear from you.

02 The Mine Act provides
03 certain protection for
04 individuals who participate in
05 accident investigations. If
06 at any time you believe you've
07 been treated unfairly because
08 of your cooperation, please
09 contact Mr. Murray or Mr.
10 Webb.

11 And Bill, you have a
12 statement, also?

13 MR. TUCKER:

14 Just on behalf of

15 Miners' Health, Safety and
16 Training, we --- well, I can
17 express to you we really
18 appreciate y'all coming out
19 and answering our questions.
20 And we also have protection if
21 you ever feel like you've been
22 discriminated against over
23 safety issues. Here's one of
24 my cards and here's C.A.
25 Phillips' card. He's our

65

01 Deputy Director, out of our
02 Charleston office.

03 A. Okay.

04 MR. TUCKER:

05 Thank you.

06

07 * * * * *

08 EXAMINATION CONCLUDED AT 2:44 P.M.

09 * * * * *

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25