

01 EXAMINATION UNDER OATH
02 OF
03 JESSE J. JUDE, II
04
05
06 Taken pursuant to Notice by Autumn D.
07 Furby-Pritt, a Court Reporter and
08 Notary Public in and for the State of
09 West Virginia, at Department of
10 Environmental Protection, 1101 George
11 Kostas Drive, Logan, West Virginia,
12 on Tuesday, February 28, 2006, at
13 7:59 a.m.

14
15
16
17
18
19
20
21
22

23 Any reproduction of this transcript
24 is prohibited without authorization
25 by the certifying agency.

01 A P P E A R A N C E S

02

03 WILLIAM J. FRAN CART, P.E.

04 Pittsburgh Safety and Health

05 Technology Center

06 Ventilation Division

07 P.O. Box 18233

08 Cochrans Mill Road

09 Pittsburgh, PA 15236

10

11 ARLIE A. WEBB

12 Special Investigator/Staff

13 Assistant

14 U.S. Department of Labor

15 Mine Safety and Health Administration

16 Coal Mine Safety and Health

17 District 6

18 100 Fae Ramsey Lane

19 Pikeville, KY 41501

20

21

22

23

24

25

3

01 A P P E A R A N C E S (cont.)

02

03 KENNETH MURRAY

04 District Manager

05 U.S. Department of Labor
06 Mine Safety and Health Administration
07 Coal Mine Safety and Health
08 District 6
09 100 Fae Ramsey Lane
10 Pikeville, KY 41501

11

12 DANIEL M. BARISH, ESQUIRE
13 U.S. Department of Labor
14 Office of the Regional Solicitor
15 1100 Wilson Boulevard
16 22nd Floor West
17 Arlington, VA 22209-2247

18

19 DAVID J. HARDY, ESQUIRE
20 Spilman, Thomas & Battle, PLLC
21 990 Elmer Prince Drive
22 Suite 205
23 P.O. Box 4474
24 Morgantown, WV 25604-4474

25

4

01 A P P E A R A N C E S (cont.)

02

03 WILLIAM TUCKER
04 West Virginia Office of Miners'
05 Health, Safety & Training
06 142 Industrial Drive

07 Oak Hill, WV 25901
08
09 ARLIE A. WEBB
10 Special Investigations/Staff
11 Assistant
12 U.S. Department of Labor
13 Mine Safety and Health Administration
14 Coal Mine Safety and Health
15 District 6
16 100 Fae Ramsey Lane
17 Pikeville, KY 41501
18
19
20
21
22
23
24
25

5

01 A P P E A R A N C E S (cont.)

02

03 ALSO PRESENT:

04 RONALD W. STAHLHUT

05 C.A. PHILLIPS

06 EUGENE WHITE

07 BETH SPENCE

08 DENNIS BEITER

09 CHARLES POGUE

10 ANTHONY BURKE
11 DANNY COOK
12 MIKE FINNIE
13
14
15
16
17
18
19
20
21
22
23
24
25

6

01	I N D E X	
02	INTRODUCTION	8 - 18
03	WITNESS: JESSE J. JUDE, II	
04	QUESTIONS	
05	By Mr. Francart	18 - 112
06	By Mr. Tucker	112 - 135
07	By Mr. Francart	136 - 181
08	By Mr. Tucker	181 - 190
09	By Mr. Francart	190 - 211
10	By Mr. Tucker	211 - 212
11	By Mr. Francart	212 - 215

12	By Mr. Tucker	215 - 217
13	By Mr. Francart	217 - 219
14	CLOSING	219 - 223
15	CERTIFICATE	224
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

7

01	EXHIBIT PAGE		
02			PAGE
03	NUMBER	DESCRIPTION	IDENTIFIED
04	Jude		
05	A	Map airflow	62
06	B	System printout	71
07	C	Logbook	86
08	D	Printout	96
09			
10			
11			
12			
13			
14			

15
16
17
18
19
20
21
22
23
24
25

8

01 P R O C E E D I N G S

02 -----

03 MR. FRANCCART:

04 Good morning. My name
05 is Bill Francart. I represent
06 the Mine Safety and Health
07 Administration, which is an
08 agency of the U.S. Department
09 of Labor. I'm assigned to the
10 Pittsburgh, Pennsylvania
11 office. I'm a member of
12 MSHA's accident investigation
13 team that is charged with
14 investigating the accident
15 that occurred at the Aracoma
16 Coal Company, Incorporated,

17 Aracoma Alma Mine Number One,
18 on January 19th, 2006.

19 This is a joint
20 investigation that MSHA is
21 conducting with the State of
22 West Virginia. I will be
23 asking the questions for MSHA
24 in this interview. Also here
25 today are other members of

9

01 both MSHA's and State
02 investigation teams. MSHA
03 team members include various
04 specialists and members of the
05 Solicitor's office from all
06 over the country. At this
07 time, we would like to ask
08 each one of the members of
09 MSHA's team to identify
10 themselves for the record.
11 Let's start with Anthony.

12 MR. WEBB:

13 Anthony Webb,
14 Pikeville, Kentucky.

15 MR. STAHLHUT:

16 Ron Stahlhut,
17 Vincennes, Indiana.

18 MR. POGUE:

19 Charlie Pogue, MSHA,

20 Hunker, Pennsylvania.

21 MR. FINNIE:

22 Mike Finnie, MSHA,
23 Madisonville, Kentucky.

24 MR. MURRAY:

25 Kenny Murray,

10

01 Pikeville, Kentucky.

02 MR. BURKE:

03 Tony Burke, MSHA,
04 Whitesburg, Kentucky.

05 MR. BEITER:

06 Denny Beiter,
07 Triadelphia, West Virginia.

08 ATTORNEY BARISH:

09 Dan Barish, Solicitor's
10 Office, for MSHA in Arlington,
11 Virginia.

12 MR. FRANCCART:

13 Also here today
14 representing the State of West
15 Virginia is Mr. Bill Tucker.
16 Mr. Tucker will also be asking
17 you questions. At this time,
18 I'd ask Mr. Tucker to make an
19 opening statement for the
20 State of West Virginia.

21 MR. TUCKER:

22 Jesse, the West
23 Virginia Office of Miners'
24 Health, Safety & Training is
25 conducting this interview

11

01 session jointly with MSHA, and
02 we are in agreement with the
03 procedures outlined by Mr.
04 Francart. However, let me
05 make it clear that the
06 Director reserves the right,
07 if necessary, to call or
08 subpoena witnesses or require
09 the production of any record,
10 document, photograph or other
11 relevant materials necessary
12 to conduct this investigation.
13 Again, my name is Bill Tucker,
14 and I work out of the Oak Hill
15 office.

16 MR. COOK:

17 Danny Cook. I'm an
18 electrical inspector out of
19 the Danville office.

20 MR. WHITE:

21 Eugene White, district
22 inspector, Region Three.

23 MR. PHILLIPS:

24 C.A. Phillips, safety

25 director, Charleston, West

12

01 Virginia.

02 MS. SPENCE:

03 Beth Spence, Governor's

04 Office.

05 MR. FRANCAERT:

06 This investigation is
07 being conducted by MSHA and
08 the State of West Virginia to
09 gather information to
10 determine the cause of the
11 accident and to help prevent
12 similar accidents from
13 happening in the future.

14 These interviews are an
15 important part of the
16 investigation.

17 After the investigation
18 is completed, MSHA will issue
19 a written report detailing the
20 nature and the causes of the
21 accident. MSHA accident
22 reports are made available to
23 the public in the hope that a
24 greater awareness about the
25 causes of accidents can reduce

13

01 their occurrence in the
02 future. Information obtained
03 through witness interviews is
04 frequently included in these
05 reports. Your statement may
06 also be used in other
07 enforcement proceedings.

08 On behalf of the
09 accident investigation team, I
10 thank you in advance for your
11 appearance here today. We
12 appreciate your assistance in
13 this investigation. The
14 willingness of miners and mine
15 operators to work with us is
16 critical to our success in
17 making the nation's mines
18 safer.

19 This interview with Mr.
20 Jesse Jude is being conducted
21 under Section 103(a) of the
22 Federal Mine Safety and Health
23 Act of 1977 as part of an
24 investigation by the Mine
25 Safety and Health

14

01 Administration into the
02 conditions, events and
03 circumstances surrounding the

04 fatalities that occurred at
05 the Aracoma Alma Mine Number
06 One, located at Route 17 North
07 Bandmill Hollow Road,
08 Stollings, West Virginia,
09 25646. This interview is
10 being conducted at the West
11 Virginia Department of
12 Environmental Protection
13 office in Logan, West
14 Virginia, on February 28th,
15 2006. The current time is
16 approximately 8:02.

17 Mr. Jude, the interview
18 will begin by asking you a
19 series of questions. Feel
20 free at any time to clarify
21 any statements that you make
22 in response to the questions.
23 After we finish asking you
24 questions, you will also have
25 an opportunity to make a

15

01 statement of your own and
02 provide us with any additional
03 information that you believe
04 may be important to the
05 investigation. You are

06 permitted to have a
07 representative with you during
08 this interview, and you can
09 consult with your
10 representative at any time.
11 You may designate any person
12 to be your representative.
13 Following the questions by
14 MSHA and the State, your
15 representative will be given
16 the opportunity to ask
17 questions for the purposes of
18 clarification on any area
19 already discussed.

20 Your statement is
21 completely voluntary. You may
22 refuse to answer any question
23 and you may end your interview
24 at any time. If you do not
25 understand a question, please

16

01 tell me so I can clarify the
02 question for you. If you need
03 a break at any time for any
04 reason, please let me know.

05 You may request the
06 opportunity to make a
07 confidential statement which
08 we will withhold from the

09 public to the extent allowed
10 by law. Should you desire to
11 give a confidential statement,
12 you should advise me before I
13 begin your interview so that I
14 can reschedule your interview
15 in order to properly consider
16 your request. Would you like
17 to have a confidential
18 interview?

19 MR. JUDE:

20 No.

21 MR. FRANCAERT:

22 We have a court
23 reporter here today to record
24 your interview and we'll later
25 have a written transcript

17

01 produced of the interview. I
02 ask that you state all of your
03 answers verbally because the
04 court reporter cannot record
05 gestures such as nodding your
06 head or shaking your head no.
07 Neither the transcript of the
08 interview nor the content will
09 be released to the public or
10 the media until MSHA's final

11 accident report is issued,
12 except as required by court
13 order or until a public
14 hearing may take place.

15 If any part of your
16 statement is based on
17 information that you learned
18 from someone else, please let
19 us know. Please answer each
20 question as fully as you can,
21 including any information you
22 may have learned from someone
23 else. We may not ask all the
24 questions needed to learn all
25 the information you know, so

18

01 don't feel limited by the
02 questions that we ask you. If
03 you have information about the
04 subject area of a question,
05 please provide that to the
06 investigation. Do you have
07 any questions about the manner
08 in which the interview will be
09 conducted?

10 MR. JUDE:

11 No, sir.

12 MR. FRANCCART:

13 At this time, we'll ask

14 the court reporter to
15 administer the oath.

16 -----
17 JESSE J. JUDE, II, HAVING FIRST BEEN
18 DULY SWORN, TESTIFIED AS FOLLOWS:

19 -----
20 BY MR. FRANCAERT:

21 Q. Mr. Jude, please state your
22 full name, address and telephone
23 number.

24 A. It's Jesse James Jude, II,

25 [REDACTED]

[REDACTED]

04 A. It's J-U-D-E.

05 Q. Thank you. Are you appearing
06 voluntarily at this interview today?

07 A. Yes, sir.

08 Q. Has anyone made any promises
09 to you for giving a statement or
10 offered you any reward in exchange
11 for your statement today?

12 A. No, sir.

13 Q. Has anyone threatened you or
14 warned you not to provide a
15 statement?

16 A. No, sir.

17 Q. Have you discussed this

18 accident with anyone already

19 interviewed by MSHA and the State of

20 West Virginia as part of this

21 investigation?

22 A. No, sir.

23 Q. Do you understand that you may

24 refuse to answer any question or

25 terminate this interview at any time?

20

01 A. Yes, sir.

02 Q. Do you have a representative

03 with you today?

04 A. Yes.

05 Q. And could you identify him,

06 please?

07 A. It's Dave.

08 Q. The full name, please.

09 A. What is your last name?

10 ATTORNEY HARDY:

11 Hardy.

12 A. Dave Hardy.

13 BY MR. FRANCAERT:

14 Q. Thank you. Are you aware that

15 you may designate any person of your

16 choice as your representative?

17 A. Yes.

18 Q. Have you been told by any

19 person that you need to designate a
20 particular representative?

21 A. No.

22 Q. Did you feel in any way
23 coerced to select Mr. Hardy as your
24 representative?

25 A. No.

21

01 Q. Before selecting your
02 representative, were you contacted by
03 anyone from the company regarding who
04 your representative should be?

05 A. No.

06 Q. Have you signed any documents
07 regarding your representation in this
08 interview?

09 A. No.

10 Q. When did you first meet Mr.
11 Hardy?

12 A. When the investigation ---
13 right after the fire, they came to
14 make copies of some documents and
15 stuff at work. I met him then.

16 Q. Are you being charged any fees
17 for being represented today?

18 A. No.

19 Q. Did Mr. Hardy tell you how
20 this interview would be conducted?

21 A. Yes.
22 Q. Did he tell you what questions
23 would be asked?
24 A. No. Just about the CO system
25 and whatnot.

22

01 Q. And have you been interviewed
02 by the company regarding the accident
03 on the 19th of January?

04 A. I've talked to Dave once about
05 it.

06 Q. Dave?

07 A. Hardy.

08 Q. Anybody else from the company?

09 A. No.

10 Q. Were any representatives from
11 MSHA or the State of West Virginia
12 present at that time?

13 A. No.

14 Q. Was there anyone else present?

15 A. What was the other guy's name?

16 ATTORNEY HARDY:

17 The other lawyer?

18 A. Yeah.

19 ATTORNEY HARDY:

20 Mark Heath.

21 A. Mark Heath.

22 BY MR. FRANCAERT:

23 Q. Have you been made aware that

24 Mr. Heath and Mr. Hardy also
25 represent the company in this matter

23

01 and that there's a potential for
02 conflict of interest between you and
03 your company --- between you and the
04 company to arise as a result of this
05 investigation?

06 A. Yeah. I don't believe there's
07 any conflict of interest.

08 Q. Do you want to proceed with
09 Mr. Hardy as your representative?

10 A. Yes.

11 Q. Thank you. How long have you
12 worked at Aracoma?

13 A. Since August of 2001.

14 Q. 2001. And what's your current
15 job classification there?

16 A. Outby electrician.

17 Q. And what was your job on
18 January 19th?

19 A. January 19th, we had a roof
20 bolter down at Ten headgate that hoot
21 owl had run over the cable for
22 approximately nine or ten breaks, and
23 it was ground faulting, and I was
24 repairing the cable, trying to get
25 the roof bolter back in service.

01 Q. Which shift did you work that
02 day?

03 A. First.

04 Q. That starts at what time?

05 A. I start at 6:00 in the
06 morning.

07 Q. And you finish at?

08 A. It's supposed to be 4:00.

09 Q. Four o'clock?

10 A. Uh-huh (yes).

11 Q. What time did you finish that
12 day?

13 A. It was 4:00.

14 Q. Four o'clock?

15 A. Uh-huh (yes).

16 Q. Are you considered to be a
17 manager at the mine?

18 A. No. I'm an hourly employee.

19 Q. How many total years mining
20 experience do you have?

21 A. I think I have five. Right
22 around five.

23 Q. Who was your supervisor the
24 day of the accident?

25 A. I was working with Chris

01 Herndon. He was supervisor of the
02 outby crew. They was setting a new

03 mother drive.

04 Q. Was he your immediate
05 supervisor?

06 A. My immediate supervisor is
07 Jimmy Wells, chief electrician.

08 Q. Is Jimmy your normal
09 supervisor?

10 A. Yes.

11 Q. I'm going to have to ask you
12 to speak up a little louder so they
13 can hear you at the back of the room,
14 if you don't mind.

15 A. Okay.

16 Q. Thank you. Who is Mr. Wells'
17 supervisor?

18 A. Robert Ellis.

19 Q. Robert Ellis. And what's his
20 position?

21 A. He's the maintenance
22 superintendent for Logan County.

23 Q. And what's Mr. Ellis'
24 supervisor's name?

25 A. Keith Heiner.

01 Q. And his position?

02 A. He's the maintenance manager
03 for Massey Coal Services.

04 Q. Do you happen to know Mr.

05 Heiner's supervisor?
06 A. I assume Don Blankenship. I
07 don't really know.
08 Q. Thank you. For clarification,
09 did you say you were working at the
10 Number Ten headgate mother drive?
11 A. Yeah. We was down probably 20
12 breaks in, Ten headgate.
13 Q. And you were working on a
14 bolter?
15 A. Uh-uh (no).
16 Q. On a cable?
17 A. Yes, sir.
18 Q. Thank you. Were you at the
19 mine at the time of the accident?
20 A. No. I left right at ---
21 probably 15, 10 'til 5:00 I was gone.
22 Q. You went home for the day?
23 A. Uh-huh (yes).
24 Q. When did you learn about the
25 accident?

27

01 A. I had the neighbor call me.
02 She had a scanner on. She said she
03 heard the fire department talking
04 about a belt fire at Aracoma Coal.
05 Q. What did you do at that time?
06 A. I called the mines to see if
07 they needed any help. They said no.

08 And then I guess it was about eight
09 o'clock that Minnes Justice from MSHA
10 called and said he'd like to have me
11 come to the mine site.

12 Q. What did he have you do?

13 A. We walked downstairs and we
14 looked at the CO system, which they
15 all was alarming and showed 107 on
16 every one of them toward the Two
17 section and down toward the wall. He
18 took the sheet of paper out of the
19 printer and we went over it. He took
20 it with him and I went back upstairs.

21 Q. So Minnes Justice took just
22 one sheet of paper?

23 A. Uh-huh (yes).

24 Q. Was that something that was
25 already printed out on the system?

28

01 A. Yeah, it was printed out. It
02 was the one that showed the --- I
03 think it was 530, 536 alarm by the
04 mother drive.

05 Q. What are your responsibilities
06 regarding the Pyott-Boone monitoring
07 system?

08 A. If a CO quits working, I will
09 go see what's the matter with it. If

10 it's a cable problem, I've got close
11 to 15, 20 miles of cable that runs
12 that system. It just goes all over
13 the place at the mines. So if you
14 get a nick, a rock cuts it, someone
15 puts a phone in on it, anything can
16 cause a data loss parity error. And
17 if the CO itself is going bad, it can
18 cause you trouble. Just change them,
19 fix them. The monthly calibrations,
20 I put them on the computer outside.

21 Q. You said that if somebody puts
22 a phone in the line ---?

23 A. It's a six-pair cable. And if
24 you actually open it and then you got
25 to find the data line as the number

29

01 one power for the system, as number
02 two, which is 24 volts DC. Three is
03 our remote line. Four is the
04 telephone line. So they have to find
05 pair number four, if they put a phone
06 in it. A lot of times they'll maybe
07 nick number one. You won't know it.
08 The shield will touch it. It will
09 cause a parity error on the line,
10 which is a little bit of noise. It
11 gets aggravating.

12 Q. Would it be better if we had

13 those cables separated?

14 A. They're going to be.

15 Q. Are they? Who made that

16 decision?

17 A. I did.

18 Q. Do you also install the CO

19 sensors?

20 A. Yes.

21 Q. Do you install any other types

22 of controls or sensors on the system?

23 A. Not on the Pyott-Boone system.

24 We use Pyott-Boone on some of the ---

25 like the mother drive for the slip

30

01 sequence, which is a speed guard box.

02 That's the only other Pyott-Boone,

03 really. We got the Pyott-Boone belt

04 boss systems on the four-foot belts,

05 install those.

06 Q. For clarification, can you

07 tell us what a parity error is,

08 please?

09 A. A parity error is just ---

10 most of the time when I find one that

11 does give a parity error, it's

12 usually the shielding in the cable

13 actually touching the copper that

14 would transmit the data line, the

15 data back to the computer.

16 Q. Can anyone install a phone
17 line on a system or does it have to
18 be an electrician?

19 A. I ain't sure about the law,
20 but about anybody that wants to.
21 There's no --- really no voltage on
22 the line or anything.

23 Q. Do you install or maintain any
24 electrical controls or fire
25 suppression systems at the mine?

31

01 A. I installed the fire
02 suppression controls.

03 Q. And how are they installed
04 relative to the belt operation, fire
05 suppression and alarms on the ---?

06 A. Well, the one on the mother
07 drive, the way it was installed, we
08 had a --- it's called an old faithful
09 box. And you got a sensor, a flow
10 switch that mounts in line with the
11 water and the water hangs over the
12 belt and the motors. And it's a
13 normally open sensor. And then from
14 there, you got your power course
15 going --- 120 volts going to the
16 system. Then you got a normally
17 closed set of contacts that goes into

18 the starter box, which that's what
19 the starter box is looking for, is a
20 closed sensor. And when there's a
21 fire, it burns the sensors on the
22 fire line, which there's always water
23 in the line. And when it burns the
24 sensor or the sprinklers, the fire
25 would actually burn those and water

32

01 would start to flow. That flow
02 switch sits in line and the water
03 would push it. And as soon as ---
04 they're highly sensitive. As soon as
05 the water starts to flow, then it
06 shorts the normally open sensor, and
07 the normally closed contacts open up
08 and stops the belt.

09 Q. Do you also have an alarm on
10 that?

11 A. Yeah. The old faithful is an
12 audible and visual alarm. It buzzes
13 and flashes red.

14 Q. Is there also a key switch on
15 that alarm unit?

16 A. Yeah.

17 Q. And what's that switch for?

18 A. I really couldn't tell you.

19 It don't affect anything. It's some

20 kind of valve. It's for a different
21 type system. I mean, you can turn it
22 and it won't do nothing. It will
23 still alarm and shut your belt off
24 and all that.

25 Q. Okay. For clarification, does

33

01 that sensor line have a diode in the
02 sensor line at the end of the line?

03 A. Which part?

04 Q. On the fire suppression.

05 A. No. No, it's just a flow
06 switch is all the sensor really is on
07 it.

08 Q. So it's a mechanical device
09 more than electrical?

10 A. Yeah, that's really all it is,
11 is just a little piece of metal that
12 hangs down in the line. And like I
13 said, as long as the water is not
14 flowing, it just sets in the line
15 straight down. But as soon as the
16 sensors would burn open and the water
17 would flow, it would just push the
18 piece of metal up. Changes states on
19 the contacts.

20 Q. Have you ever found the
21 waterline for fire suppression
22 without water in it?

23 A. On the mother drive --- as
24 long as the miner section is running,
25 there's a pressure pump at the bottom

34

01 of the hill and it's tied into the
02 miner section waterline, which I
03 don't do the fire suppression checks
04 on the mother drive. That's the
05 longwall electrician's duty. So I
06 don't, you know, go around and check
07 their water system. But as long as
08 the pressure pump is running and the
09 miner section has water, then there's
10 water on that system.

11 Q. Is there any particular way a
12 parity error would be indicated on a
13 CO printout?

14 A. Yeah. It will just say parity
15 error.

16 Q. It does say parity error?

17 A. Yes.

18 Q. That wouldn't be a
19 communication error then?

20 A. It's more or less a
21 communication error. It's noise on
22 the line is what it is. And it can
23 cause your sensor to come on and off,
24 on and off. It will still function

25 properly, but when it's off, of

35

01 course, it won't. But most of the
02 time it's on for five minutes, off
03 for two seconds. I mean, it's just
04 real quick. It causes the printouts
05 to be super, super long.

06 Q. Is that something that could
07 be reported as a communication error?

08 A. Yeah.

09 Q. You said you also did the
10 calibrations for the system?

11 A. Uh-huh (yes).

12 Q. How often do you have to do
13 those?

14 A. Every 31 days.

15 Q. And do you have a record book
16 that you keep calibrations in?

17 A. Yeah.

18 Q. I also noticed on the
19 printout, and we'll get into that a
20 little later, about calibration
21 expirations that come up.

22 A. Yeah.

23 Q. Is that something programmed
24 into the system?

25 A. Yeah, that's programmed into

36

01 the system, what --- there's --- I

02 don't know, some of them --- I
03 calibrated some about --- I guess the
04 20 some this month and printed out a
05 printout. And it actually showed one
06 of them, the calibration expired.
07 And don't ask me why it showed that.
08 I just calibrated it and it was
09 showing calibration expired. I went
10 back to it and calibrated it again,
11 and it was fine. I don't understand
12 why it would do that. But most --- I
13 have probably gone 40 days without
14 calibrating them. I mean, I get kind
15 of busy, you know, but they are
16 calibrated monthly, like I say, but I
17 may calibrate it --- we calibrated
18 the system, the complete system, in
19 mid-December. And then I went over
20 the system with an MSHA rep. We went
21 over it with a fine-toothed comb
22 mid-part of December. And that was
23 the last time the whole mine was
24 calibrated, was probably
25 mid-December.

37

01 Q. Who was that rep that you went
02 through with?

03 A. That was the Minnes Justice.

04 Q. Minnes Justice?

05 A. Uh-huh (yes).

06 Q. Did he make any comments on
07 any deficiencies in the system?

08 A. There was one CO, 75 --- I had
09 it mounted on the starter box at Two
10 section's Number Two head, and he
11 wanted me to move it about 20 feet
12 behind the motors. And that's the
13 only problem we had with it.

14 Q. Did he tell you why he needed
15 you to do that?

16 A. He just said that since there
17 was belt air in the face, he'd feel
18 more comfortable with it being
19 located behind the motor so if
20 something would happen to the motors,
21 the sensor would pick it up better,
22 which it was directly across from the
23 motor is where it was.

24 Q. So let's go back to the
25 waterline one time just for

38

01 clarification. If a miner section,
02 the Number Two section, is not
03 operating, do you have water on the
04 fire suppression on the mother drive?

05 A. Yeah. We leave the pressure
06 pump on and water stays in the line

07 and just deadheads or ends up there
08 at the miner section. They just
09 don't use it.

10 Q. Why was the CO system
11 installed?

12 A. It's to pick up belt fires or
13 fires along the belt line.
14 Everything that I've ever heard,
15 which I'm not a scientist or
16 anything, but they say like a smoking
17 belt, like if it's rubbing against a
18 frame, it doesn't have carbon in the
19 smoke. I don't know how true that
20 is. They say it's hard for a CO
21 system just to pick up the rubbing of
22 a belt. It actually has to catch the
23 grease or the coal or something on
24 fire, which I don't --- you know, I
25 don't know if that's true or not

39

01 about the CO system, it might be.
02 But just a smoking belt, it don't
03 pick up.

04 Q. Were you employed at the mine
05 when the mine first applied for a
06 Petition for Modification to use belt
07 air?

08 A. I don't know when they applied

09 for that. I know they told me, you
10 know, the longwall, we have to
11 install the sensors every thousand
12 feet because they always used belt
13 air in the face. And then they told
14 me I need to go back and change it
15 for the miner section, put them every
16 thousand feet going toward the miner
17 section because they were starting to
18 use belt air in the face.

19 Q. When did they start to use
20 belt air at the face?

21 A. That I ain't sure of.

22 Q. Do you know when they told you
23 you needed to add the extra sensors?

24 A. Not right off the bat.

25 Q. Was it December ---?

40

01 A. No, way before that.

02 Q. Is there anyone else
03 responsible for calibration sensors
04 besides you?

05 A. No.

06 Q. How many sensors do you have
07 in the mine?

08 A. Approximately, I would say 70.

09 Q. Seventy (70) sensors. And how
10 many do you do each week or do you
11 spread them out during the month?

12 A. Yeah, I spread them out.
13 Q. So you average how many a
14 week?
15 A. I try to break them down into
16 like if I have to go to Rum Creek for
17 a reason or if I have to change a
18 sensor somewhere or if I have a
19 problem with the line, I'll take it,
20 just --- I try to do it monthly.
21 That's why I say sometimes it may be
22 30 days, sometimes it might be 31,
23 sometimes it might be 20 days, but I
24 calibrate them monthly. And they're
25 also calibrated before I put them in

41

01 line. I calibrate them outside,
02 check them out to make sure they are
03 working.

04 Q. Number Two section, is it
05 currently using belt air?

06 A. Yes.

07 Q. Number Three section?

08 A. No.

09 Q. It's not?

10 A. No.

11 Q. Do you know why they're using
12 belt air on the Number Two section?

13 A. No.

14 Q. Do you know if there are any
15 CO alarms on the sections?

16 A. Alarms as if ---?

17 Q. Alarm units, something that
18 would give you an audible and a
19 visual?

20 A. There's one on the longwall.

21 Q. And what does it look like?

22 A. It's about a foot by
23 eight-inch box that has a --- it's
24 called an 805C alarm, and then it has
25 another box right beside of it that's

42

01 got lights that go around it and a
02 speaker in the center of it. It's
03 located on the backside of the
04 headgate box, below the cables. It's
05 mounted on a magnet on the back of
06 it.

07 Q. Is that something that can be
08 seen and heard by the headgate
09 operator?

10 A. Yes. Yeah, it is. They
11 actually decided where they wanted to
12 put it, where would be the best place
13 for them to have it. And like I say,
14 you can see the flashing lights ---
15 you can't see it directly, you see
16 the light off the rib, but you can

17 hear it. It's extremely loud.

18 Q. 805C, is that a ---

19 A. That's a Pyott-Boone number.

20 Q. --- Pyott-Boone number? How

21 much of your time each month do you

22 figure you spend on the Pyott-Boone

23 system calibrating?

24 A. At least three, four days.

25 Q. A month?

43

01 A. Yeah, yeah, a month.

02 Q. And you do all 70 sensors in

03 that time?

04 A. Yeah. It don't take long to

05 do them.

06 Q. Do you think you have enough

07 time to maintain that system allotted

08 to you for allowing you to do that

09 work?

10 A. I'd like to have more, but I

11 don't know --- that part, the

12 calibration, yeah, you have plenty of

13 time. Just the --- it's a full-time

14 job keeping up with that bunch up

15 there, like I say, cutting into the

16 phone line or rocks falling and

17 hitting the line. So that's ---.

18 Q. Do you have any idea what date

19 the system was installed in the mine?
20 A. No. It was --- they started
21 the CO system on the six-foot belts
22 probably --- it was right after I
23 came, the guy that was doing it at
24 the time started installing them. So
25 it was probably September or October

44

01 of 2001. But they already had ---
02 the Pyott-Boone system was on the
03 48-inch belt. They was already using
04 them.

05 Q. You said you had an alarm on
06 the longwall. Is there one on the
07 Number Two unit also?

08 A. No.

09 Q. Do you know if one is required
10 there?

11 A. I've since found out we need
12 one.

13 Q. Who told you that?

14 A. I think Robert. I wouldn't
15 swear. Robert Ellis.

16 Q. Robert Ellis?

17 A. I wouldn't swear to it.

18 Q. Did Minnes Justice ever
19 mention to you you needed an alarm on
20 that section?

21 A. No. No. We had a --- we got

22 the CO, it sits on the backside of
23 the curtain. And that's where the CO
24 --- that's the extent of the COs
25 going toward the Two section. That's

45

01 where it ends.

02 Q. Behind the curtain, what do
03 you mean by that?

04 A. At the feeder.

05 Q. Is there a curtain at the
06 feeder?

07 A. Uh-huh (yes). Yeah.

08 Q. How are you using belt air
09 with a curtain?

10 A. I'm sorry. There is no
11 curtain up through there. That's the
12 curtain on Three section.

13 Q. Okay.

14 A. Yeah. It's --- that's what I
15 got --- they wrote a violation on
16 that one time for the simple fact
17 that on Three section, the air comes
18 back down the belt. So the system
19 has to be on the other side of the
20 curtain. It was on the wrong side of
21 the curtain at the time.

22 Q. So your sensor was on the inby
23 side of the curtain, rather than

24 outby ---

25 A. Yeah, one time.

46

01 Q. --- on Three section?

02 A. Yeah.

03 Q. Do you have any idea if the

04 alarm unit on the longwall activated

05 on the 19th?

06 A. I don't have a --- no, I

07 don't.

08 Q. Is that an automatic program?

09 A. Yeah.

10 Q. What sensors would set that

11 alarm off?

12 A. Eighty (80) --- the way that

13 it was programmed there, sensor 82

14 and 83 --- it's any sensor going down

15 on the mother drive belt. Any two

16 sensors go off in a row, then it

17 activates that system. So like if 80

18 would go off or 82 and 83 would not,

19 then it wouldn't alarm on the

20 longwall. It takes two consecutive

21 sensors in a line to alarm it.

22 Q. Is that for the warning or is

23 that for the alarm?

24 A. That's for the lights to flash

25 and the alarm to make noise.

47

01 Q. So if you had your --- what
02 are your alert and alarm settings on
03 the system?

04 A. Five parts per million, a
05 warning, and ten parts will alarm.

06 Q. We saw a lot of alarms at nine
07 parts per million. Is that ---?

08 A. That's just the system picking
09 up. It eventually went to ten. Just
10 right there.

11 Q. Okay. So if you had ten parts
12 per million on one sensor, you
13 wouldn't get an automatic alarm on
14 the longwall?

15 A. No. It's two consecutive
16 sensors.

17 Q. Okay. What about the sensors
18 in the north mains belt? Do those
19 sensors also activate that section
20 alarm?

21 A. Not the longwall alarm.

22 Q. Does the air off the mains, on
23 the belt in the mains come into the
24 72-inch belt, Number Seven belt?

25 A. Off of which --- off of

48

01 the ---?

02 Q. North mains, Number Six belt.

03 A. The air going up Six belt? I
04 mean, I don't know. I mean, the belt
05 air I guess starts outby, but they
06 have two intakes that run up, and
07 then, you know, it splits and goes
08 through the cut-through and then over
09 through the double door, up the top
10 of the hill and back down the belt,
11 and then ---.

12 Q. So you don't know if the air
13 coming up Number Six actually comes
14 across Seven onto the longwall?

15 A. Yeah. It really --- a little
16 may, I mean, just from bleed-through,
17 but not directly.

18 Q. Is there any reason that it
19 wouldn't flow that direction?

20 A. Seven, that's the --- let me
21 think here. Seven is pretty --- it
22 was isolated pretty good from what I
23 can remember. Seven is.

24 Q. What do you mean by isolated?

25 A. The travel road from as soon

49

01 as you top out on the hill down to
02 the first set of doors, I believe
03 they got stoppings and stuff built;
04 don't they? I ain't going to swear
05 to it, though. It's been so long

06 since I've been up there now.

07 Q. Well, the mine did apply for a

08 petition to use belt air in 2004.

09 That petition went away as a result

10 of the new belt air regulations. Did

11 you make any changes to the system as

12 a result of those regulations coming

13 into effect?

14 A. No. But as far as I know, our

15 system is completely right with the

16 law. I mean, once you reach the

17 Three way at our mine, there's a ---

18 going right handed of the system is

19 every 2,000 feet to Rum Creek, out

20 the other way, and that's all ---

21 that's neutral air down through

22 there. And once you turn left handed

23 at the Three way, then it starts

24 every thousand feet from there to Two

25 section into the longwall. And then

50

01 it's every 2,000 feet on Three

02 section, is where the sensors are

03 located.

04 Q. And why is there a difference

05 in spacing; do you know?

06 A. That's the belt air law, the

07 regulations that became law. If you

08 use belt air in the face, you got to
09 have them every thousand feet.

10 Q. So for clarification, which
11 sections were using belt air on the
12 19th?

13 A. Two section was the only miner
14 section, and then the longwall always
15 has belt air, I guess.

16 Q. Who is responsible for
17 ensuring that the sensor spacing
18 doesn't exceed a thousand feet?

19 A. I would assume --- I put the
20 sensors in. I don't know if anybody
21 else goes back and checks. That's
22 one of the checks that the beltmen
23 are supposed to make. Because a lot
24 of times when I put them in, the
25 breaks ain't numbered. You know, I

51

01 could possibly make a mistake and put
02 one a little farther or a little
03 shorter than what it needs to be if I
04 would count wrong on the breaks.

05 Q. Do you know if anybody moves
06 those sensors once you put them in,
07 besides the ones at the tailpieces?

08 A. They shouldn't.

09 Q. When you install them, do you
10 tell somebody in engineering to mark

11 that location on a map?

12 A. I don't talk to anyone in
13 engineering.

14 Q. How do they get the
15 information to locate those sensors
16 on the CO map?

17 A. I had a map on the computer
18 outside. I tell the dispatcher where
19 they're at. That's the only person I
20 tell. I've printed them out, I don't
21 know how many sheets of paper, and
22 actually wrote break 18, break 20,
23 whatever it is, and gave it to him.
24 I don't know if they still have those
25 or what. But when I had a new CO on

52

01 the system, I usually print out a new
02 map on the system that's in there,
03 and I'm sure, you know, a lot of them
04 seen it. It's been in there --- when
05 I print it out, then I'll take a
06 pencil and just write break one,
07 break 18, tailpiece. And I don't
08 know how many times I did that.

09 Q. Do you know if the system has
10 been very effective for detecting
11 fires?

12 A. Oh, yeah, it's highly

13 effective. They found a fire a few
14 months ago, two guys did. It's been
15 here recently. I ain't sure of the
16 date, but it was Karl White and
17 Junior Robinson, I believe is their
18 names, they had a belt that actually
19 had some shavings come off of it and
20 then a roller went down and the
21 roller caught the shavings on fire,
22 and that's the way they discovered
23 that. It was a small containable
24 fire, and they had to walk quite a
25 ways to get to it. So it picked up

53

01 real quick on the ---.

02 Q. The system picked it up?

03 A. Uh-huh (yes).

04 Q. Any other fires that you know
05 of?

06 A. That's the only fire I'm aware
07 of.

08 Q. Do you know any fires that
09 weren't detected by the system?

10 A. Not personally I don't.

11 Q. Just belt fires. Were there
12 fires in any other parts of the mine
13 that you know of?

14 A. I don't know.

15 Q. How do you indicate the

16 airflow directions on your CO map?

17 A. As of now, there was no --- I

18 didn't know I was supposed to on the

19 map for the dispatcher. But I

20 actually drew some arrows on it now,

21 since all this happened.

22 Q. Is that on the computer

23 screen?

24 A. The computer, yeah. But they

25 also put a map like the one you have

54

01 behind the dispatcher now that has

02 all the CO locations. It has the

03 direction of airflow.

04 Q. Do you know if those locations

05 were correctly identified on that

06 map?

07 A. Yeah, they're right. There

08 was a few missing on the one down

09 there. We went back with a pen and

10 added them.

11 Q. Do you communicate warning

12 alarms to the sections at all? Do

13 know if the dispatchers call them

14 when they get a warning?

15 A. They're supposed to. I'm not

16 the responsible person. That's the

17 mine foreman. He --- if there's a

18 warning or alarm, like I say, I do
19 other things besides that, so I'm
20 around the system, you know, every
21 day or whatever. I go in in the
22 mornings and I look in there, and if
23 they're all green, then I'm kind of
24 happy. You know, I go and do the
25 rest of my jobs. And if there is a

55

01 malfunction, say a cable is cut and
02 the COs go down, then the dispatcher
03 would get ahold of me and say, hey,
04 I've got a line cut or, you know,
05 something's the matter, you need to
06 go look at it. But if there's
07 actually an alarm or a warning, then
08 he gets ahold of the responsible
09 person, which is the mine foreman on
10 duty.

11 Q. So you only work dayshift.
12 Who works the other shift that would
13 be responsible for responding to
14 those types of problems with a system
15 if you have communication failures?

16 A. A lot of times it's a
17 telephone call to me in the middle of
18 the night.

19 Q. Oh, no. So is that common for
20 you to be on call 24 hours?

21 A. If they can't fix it, Bill
22 Hall and Fred, the second shift mine
23 foreman and second shift chief, they
24 do take care if some of the --- just
25 the communications, like if one --- a

56

01 nuisance alarm would happen or
02 something, they would go to it and
03 fix that. But most of the time, if
04 there's a cable that would be cut and
05 they couldn't find it or a nicked
06 place, you know, they call me.

07 Q. And who are those people on
08 the other shift?

09 A. Fred, he's the second shift
10 mine --- Horton.

11 Q. Fred Horton?

12 A. Second shift mine foreman.
13 And Billy Ray Hall, second shift
14 chief.

15 Q. Thank you. Do you know what
16 kind of communications the mine has
17 in place for shutting down power to
18 the sections or shutting down belts,
19 what that would mean to them?

20 A. To?

21 Q. To the people on the sections.

22 A. I don't understand the

23 question.

24 Q. If I'm running the section,
25 I'm the face boss on Number Two

57

01 section and my belt goes down, does
02 that mean something to me?

03 A. A lot of times, if they want
04 to get ahold of somebody real quick,
05 you can shut a belt off and that will
06 bring them to the phone fairly fast.

07 Q. Everybody wants to know why
08 the belt went down?

09 A. Yeah.

10 Q. Do you monitor the belt
11 operations with the Pyott-Boone
12 system also?

13 A. The four-foot belts. The
14 six-foot belts are on the
15 Allen-Bradley system, which they're a
16 monitor only. They don't store
17 information or anything like that.

18 It's just, more or less, to start and
19 stop the belts is what that's for.

20 It actually does monitor like why it
21 would go off, say a tilt switch or a
22 landmine or a fire suppression, you
23 know, anything like that it would
24 show why they went off. That's about
25 the extent of what our six-foot

01 monitoring system is for.

02 Q. Let me sort these out a little
03 bit here. Are there any other
04 functions that the Pyott-Boone system
05 monitors besides the belts and the
06 CO?

07 A. No.

08 Q. That's pretty much it?

09 A. Uh-huh (yes).

10 Q. Do you use it to monitor fans
11 at all at the mine, main mine fans?

12 A. No. You check those daily.

13 Visually check them.

14 Q. How do you believe the CO
15 system performed in the fire on the
16 19th?

17 A. From everything I seen, it did
18 exactly what it was supposed to do.
19 You can actually --- if you look at
20 it, you can follow the way the smoke
21 traveled. I mean, you can see what
22 it did, where the first sensor, it
23 bled over onto the four-foot belt,
24 all the way up through there. Like I
25 said, when I got there that night, me

01 and Minnes went down and looked at

02 them and you could see all the
03 systems from the mother drive down to
04 the longwall had 107, and from ---
05 I'm thinking, I ain't going to swear,
06 from sensor 71 on the four-foot belt
07 to the feeder all showed 107, which
08 is the max that those show.

09 Q. I looked at those same numbers
10 and I had a question in my mind about
11 how the smoke got from the longwall
12 mother drive to the 48-inch belt
13 without traveling around and catching
14 the other sensors in the belt. Do
15 you have any idea how that smoke got
16 into that 48-inch belt?

17 A. Well, if you look on a map,
18 the sensor --- the first sensor it
19 picked up is almost straight across
20 from where the mother drive is
21 located. I mean, it wouldn't pick up
22 on the other system --- the other
23 sensor on the 48 --- the first sensor
24 on the 48 belt. It's a --- you'd
25 have to go through manddoors and

60

01 actually fight the air that's going
02 this way. You would have to fight
03 the air that's going back down. So I
04 mean, it bled over to the first

05 sensor and then up the belt, and
06 that's exactly what it should have
07 did, I mean.

08 Q. But that smoke would have to
09 cross over an intake to get into the
10 other belt; is that not right?

11 A. I don't know what it would
12 consist of to get over there. I
13 mean, maybe --- just bleed through
14 some of the --- I know we're having
15 to fix some stopping lines right now.
16 Maybe it just bled through.

17 Q. Does somebody tell you when to
18 install sensors or tell you when
19 they're required to be put in or do
20 you have to do that yourself?

21 A. Yeah, that's --- both. I
22 mean, if no one tells me, I kind of
23 keep a look on the map, and as they
24 advance farther, then I can see, you
25 know, once they get so far to the

61

01 system. Because they got the one on
02 the feeder that they advance with
03 them. And then once that one gets
04 beyond the thousand-foot range, then
05 you go up there and install another
06 one.

07 Q. How long is that cable that's
08 on that spool; do you know?

09 A. They're 500-foot rolls is what
10 they come in. And then the hoot owl
11 will add cable to it as they need it
12 to advance.

13 Q. So the sensor that you advance
14 to the section is on a 500-foot
15 cable, and then can you describe
16 what's on the other end of that
17 cable?

18 A. It's just a spool of cable.
19 You know, you got two ends. The end
20 that --- one end is tied into a
21 junction box, and then out of a
22 junction box you got your CO, your
23 remote switch and your phone. Then
24 the other end, it just ties back to
25 your cable going on down the belt

62

01 line.

02 Q. So the cable and the phone
03 line are both in the same bundle; is
04 that correct?

05 A. Yes.

06 Q. When you install the CO
07 sensors then, do you position those
08 sensors based on the airflow
09 direction?

10 A. Yeah.

11 Q. And what is the airflow
12 direction in that Number Seven belt?

13 A. On the Number Seven belt, it
14 should be going toward the tailpiece.

15 Q. Of the mother drive?

16 A. Uh-huh (yes).

17 Q. To the head at the mother
18 drive?

19 A. Toward the mother drive, yes.

20 Q. Would you mind coming up to
21 our map for just a few minutes and
22 mark it up for the record?

23 (Jude Exhibit A marked
24 for identification.)

25 MR. FRANCCART:

63

01 This map is marked

02 Exhibit A, Jude.

03 BY MR. FRANCCART:

04 Q. And what we'd like you to do,
05 Jesse, if you don't mind marking the
06 air directions on all of the belts
07 that you see on this map. If you
08 need any help identifying them, let
09 me know.

10 A. These red lines are all belts;
11 right?

12 Q. Yeah, that's the belts.

13 WITNESS COMPLIES

14 BY MR. FRANCCART:

15 Q. So then that air in the
16 48-inch belt travels the whole way
17 from the north mains to the Number
18 Two section; is that correct?

19 A. Uh-huh (yes). Yes.

20 Q. I don't know if you can
21 remember offhand where the number 81
22 and number 82 sensors are or where
23 they were at the time of the fire.

24 A. Eighty-one (81) is right here,
25 the tailpiece. Eighty-two (82) is

64

01 motors --- right there is the motors.
02 Eighty-two (82) is right here by the
03 door. And then 83 was at the end of
04 the storage unit. I don't know if
05 that's one or two breaks down, which
06 the law doesn't require 83. That's
07 just something I put in extra at the
08 end of the storage unit to kind of
09 keep an eye on it. It was somewhere
10 I think --- I ain't real sure where
11 it is. One or two breaks down. I
12 think it's right here.

13 Q. Do you know where the fire
14 originated in relation to that

15 sensor?

16 A. To this one?

17 Q. Yes.

18 A. I'm assuming right here

19 somewhere. Somewhere in the storage

20 unit there is what I've heard.

21 Q. That the fire was outby sensor

22 83?

23 A. It was in between the two

24 sensors here.

25 Q. Which two sensors would that

65

01 be?

02 A. Eighty-two (82) and 83.

03 Q. Okay. Thanks, Jesse.

04 MR. FRANCCART:

05 For the record, we have

06 air moving in the north mains

07 belt, Number Six belt, on the

08 inby direction, also moving

09 inby on the 48-inch belt,

10 Number One, Two and Three, the

11 Number Seven belt inby toward

12 the longwall, and on the

13 longwall belt and inby toward

14 the face.

15 A. Now, that's a normal flow

16 right there. I mean, there's things

17 that can change that.

18 BY MR. FRANCCART:

19 Q. What would change that flow?

20 A. Well, if there was a stopping
21 that would be knocked or someone
22 would open a set of doors or, you
23 know, then the airflow would be
24 different from what you see there.

25 Q. Is that common for that to

66

01 change?

02 A. It's not common, no.

03 Q. Have you seen it change
04 before?

05 A. If someone leaves a set of
06 doors open, yeah, you can see it
07 change. So that's something you got
08 to watch. I mean, it could be an
09 accident. But it's not common. No,
10 it's not a common occurrence, but I
11 have seen it once.

12 Q. Where the doors were left
13 open?

14 A. Yeah.

15 Q. Which doors are you talking
16 about there?

17 A. At the mother drive right
18 there. It actually made my air come
19 up the longwall belt instead of going

20 down the longwall belt like I have it
21 marked.

22 Q. So actually reversed the
23 airflow when those doors were open?

24 A. Uh-huh (yes).

25 Q. And those doors, are those the

67

01 airlock doors on the travelway to the
02 Number Two section?

03 A. Yeah.

04 Q. Why would those doors be
05 installed; do you know?

06 A. I don't --- you know, I don't
07 have nothing to do with the
08 ventilation. I don't know anything
09 about that.

10 Q. Do you know why they would be
11 left open?

12 A. Just a mistake, I mean. The
13 time I seen them left open was a
14 motorman had came through and he told
15 the beltman to shut them. The
16 beltman was busy. He was going to
17 shut them, but he left them open for
18 two or three minutes, you know, and I
19 went ahead and shut them.

20 Q. Do you know which sensor
21 indicated CO first on the day of the

22 fire?

23 A. Eighty-two (82).

24 Q. Eighty-two (82)?

25 A. Uh-huh (yes).

68

01 Q. And then 81 came sometime

02 after that?

03 A. Yeah, 81 was the next one.

04 Q. And what would that indicate

05 to you?

06 A. To me, I don't know. It just

07 --- to me, 83 should have been the

08 next one.

09 Q. Did 83 alarm at any time on

10 the day of the fire?

11 A. I don't remember. It would

12 have to. Like I said, they all

13 eventually were showing 107, so I

14 don't know what order it actually

15 alarmed in.

16 Q. But you don't know why you

17 wouldn't have had CO on the longwall

18 the day of the fire?

19 A. CO gas actually going down the

20 longwall belt?

21 Q. Yes, up on the face, why it

22 never got there.

23 A. No.

24 Q. At least while the people were

25 up there on the face?

69

01 A. Yeah.

02 Q. Okay. Do you have any idea

03 what the minimum velocity is in the

04 belts?

05 A. The minimum has to be 50 feet

06 per minute.

07 Q. And do you know how that's

08 measured?

09 A. The way that --- any time that

10 I've seen an inspector come to the

11 mines, they would take the gas tube

12 --- this is the way that I've seen

13 them do it. They would break the gas

14 tube and then they would just make

15 sure the air was moving, and they

16 would actually tie one on and watch.

17 And you know, if it moved so fast,

18 they said, well, that's plenty of

19 air.

20 Q. Would they time those smoke

21 clouds?

22 A. Yeah, from one point to

23 another point.

24 Q. What about examinations? Do

25 you do examinations at all on shift,

70

01 pre-shift?

02 A. I have.

03 Q. Have you measured air

04 velocities?

05 A. The only --- not up on that

06 end, no. I've had taken --- the only

07 on-shift I've ever did was over on

08 the Rum Creek side, on the six-foot

09 belts.

10 Q. How do you measure air

11 velocities?

12 A. I do it the same way. I would

13 do it with dust, just --- but I

14 didn't measure the actual number. I

15 would make sure there was a pretty

16 good movement of air, you know, clap

17 your hands and make sure the dust

18 would fly, just --- but you don't

19 have to worry about that at Rum

20 Creek. You've got plenty of good

21 air.

22 Q. Plenty of good air?

23 A. Yeah. You've got really good

24 air over there.

25 Q. Do you know how the other

71

01 examiners measure air velocities?

02 A. No. No, I sure don't.

03 Q. Do you have any areas where 50

04 feet a minute on the belt is
05 difficult to maintain?
06 A. Not that I'm aware of. We ---
07 I think at one time they had a little
08 bit of trouble, not a lot, on the
09 48-inch belt there. But I think
10 Minnes --- I ain't going to swear to
11 it, I believe he helped them out on
12 getting some air on the belt. It
13 picked up pretty good.

14 Q. Do you know if MSHA has ever
15 written any citations based on air
16 velocity?

17 A. I don't know anything about
18 that.

19 Q. If you don't mind, I'm going
20 to give you an exhibit here. We're
21 going to mark it Exhibit B, Rose.

22 (Jude Exhibit B marked
23 for identification.)

24 BY MR. FRANCAERT:

25 Q. What this is, is a copy of

72

01 part of the computer printout. I'm
02 sorry, Jude. Mr. Rose was here the
03 other day. B Jude is the Exhibit
04 Number. And I have a few questions
05 for you. This is, of course, the day

06 of the fire. And if you notice, you
07 have sensor number 75, and you
08 mentioned before ---.

09 A. Yeah, I noticed that when they
10 showed me --- on the CO 75, as you
11 can see, that's every one second. I
12 mean, a lot of those right there
13 would go unnoticed by the dispatcher.
14 It would actually stay green. They
15 wouldn't even know. It would just
16 --- it would flash. If you look at
17 the screen and you actually pull up
18 75, you may see a no reply flash up
19 real fast. But if you're just
20 sitting there and you're monitoring
21 the system, no, you wouldn't even
22 notice that.

23 Q. So is that more of a pulling
24 problem, that it maybe missed the
25 pulling of the sensor, or is that an

73

01 actual malfunction?

02 A. That's just a system --- or a
03 sensor that I would change just so it
04 would quit printing so much paper
05 out. And that still monitors, it
06 still works. It just has a
07 communication problem, a slight
08 glitch on it you'd call it, that it

09 would lose and come back within a
10 second. And there it was gone for 20
11 seconds, but it would still --- when
12 it would gain communication, say
13 there was a smoke or something there,
14 then it would show it as soon as it
15 regained its communication.

16 Q. Do you know if sensor 75
17 responded the day of the fire to that
18 smoke that traveled down the 48-inch
19 belts?

20 A. Yeah, I believe it did. I
21 wouldn't swear to it, but I believe
22 it did. CO 75 and 72 are within 40
23 foot of each other. I mean, they're
24 really close to each other.

25 Q. And they're at one of the

74

01 drives?

02 A. Yeah. Seventy-two (72) was at
03 the tailpiece, and then right on the
04 other side of the motors was 75.

05 Q. And that's the one that Mr.
06 Justice had you move?

07 A. Yeah.

08 Q. So you're saying that sensor
09 75 would properly indicate both a
10 warning and alarm?

11 A. Oh, yeah. Yeah.

12 Q. Even with these communication

13 ---?

14 A. I don't have no doubt about

15 that.

16 Q. How would you know if this was

17 occurring? Would you have to go down

18 and look at the printout or would

19 somebody report this to you?

20 A. This would probably ---

21 something like that, eventually, like

22 on the 20-second delays, it would

23 actually show dead, and the

24 dispatcher should tell me. But like

25 I said, this day right here, they

75

01 probably couldn't even get ahold of

02 me. I was down at Ten headgate,

03 running back and forth on the cable.

04 So I honestly don't know if they

05 tried to or if they didn't try.

06 Q. So if it would show dead,

07 would you get an audible signal from

08 the system or just a visual

09 indication on the screen?

10 A. It would make a noise, and

11 he'd look over and see it would be

12 gray.

13 Q. So he would then do what when

14 he got that signal?

15 A. I would assume that he would
16 holler at the mine foreman or try to
17 get in touch with me and you know,
18 say, hey, we got a problem with one
19 of them sensors up there and need to
20 go look at it or tell Dusty that
21 something was wrong.

22 Q. Is it real common to get
23 these? You said if you had a nick,
24 somebody tried to put a phone in.
25 But besides that and a fall, do you

76

01 have a pretty dependable hardware
02 system here?

03 A. Most of the time. The new
04 1711s I've had more trouble with than
05 the 1709s. But all in all, you don't
06 have much.

07 Q. When you do get a sensor that
08 goes dead, is that sensor replaced
09 immediately?

10 A. Yes, as soon as --- I'm on
11 foot. I walk. I don't have a ride.
12 So I mean, it takes me a while.
13 Where if I can get someone to bring
14 me one up, it would be immediately.
15 But if there is one that goes down, I

16 think Dusty usually has somebody
17 monitor that area. I mean, I ain't
18 going to swear that's what he does,
19 but that's what he's supposed to do.

20 Q. Do you ever monitor when those
21 sensors go down or is it somebody
22 else?

23 A. It would be somebody else.

24 Q. Somebody else would have been
25 responsible for that. I see in here

77

01 every once in a while a gob switch
02 indicated. What exactly happens when
03 you get that signal?

04 A. A gob switch would be on the
05 48-inch belts for this system here.
06 And that would be either a landmine
07 or a tilt switch on the head area
08 itself. A rock would maybe fall on
09 it, somebody stepped on it. But
10 they're located inside the rock box
11 and they hang down too. If a belt
12 would shut off and it would pile up
13 with coal, then it would knock the
14 other belt off that's feeding it. Or
15 if a rock would get fouled and be
16 laying there and coal would be piling
17 up, it would turn it off. Or if
18 rocks were actually coming back on

19 the bottom belt, then the landmines
20 would pick them up.
21 Q. Okay. I think on one page
22 here --- if you don't mind, I'll show
23 you. On this page --- on the chart
24 we don't have them numbered. This is
25 a printout we got from the company

78

01 regarding the alerts and alarms. But
02 on this particular page you have Six,
03 Eight and Seven belt bosses
04 indicated. What do these particular
05 addresses indicate?

06 A. Those are the 48-inch belts
07 for Two section. That would be
08 Number One, Number Two and Number
09 Three belts on Two section.

10 Q. Do you know which belt is
11 which, according to the belt boss
12 address?

13 A. I would have to look. I think
14 --- I'd have to look on the computer.
15 I ain't real sure what the address
16 was.

17 Q. But those aren't the Six,
18 Seven and Eight 72-inch belts?

19 A. No. They're not monitored
20 with the Pyott-Boone system.

21 Q. Okay.
22 A. Just the 48-inch belts.
23 Q. Okay. That's what we needed
24 to know. Thank you. The
25 communication problems that we talked

79

01 about on the 75 sensor, you say a lot
02 of those wouldn't be indicated by a
03 tone but some of them would be,
04 depending on the length of the time?

05 A. The length, yeah. If it's
06 just a one-second --- just a quick
07 pop-up, no, it wouldn't.

08 Q. Is there something built into
09 the system to try to sort those out?

10 A. I'm not following on that.

11 Q. You have like one second that
12 won't set off the alarm, but then if
13 you have 20 seconds, it would. Is
14 there some ---?

15 A. Oh, yeah, that's internal into
16 the program.

17 Q. Do you do that programming?

18 A. No. That would be internal to
19 however Pyott-Boone sets up their
20 --- because I know a lot of times
21 when I do get like a parity error or
22 something of that nature, you can go
23 over there and click on one of the

24 sensors and it will just flash real
25 fast. That's one of the problems you

80

01 have when you're trying to fix it.
02 You have to have somebody outside to
03 actually sit there and stare at that
04 system to say, okay, whatever you did
05 just --- it cleared it up. And then
06 you can go from there, because it
07 happens so fast.

08 Q. Let me see if this has other
09 signals on it I wanted to talk to you
10 about. I do have another one, I
11 think. This does show the alerts ---
12 or the warning and alarms for the day
13 of the fire. And if you could, could
14 you see if 75 sensor responded the
15 way the other sensors did? You may
16 have to come back up the other way.
17 I don't know.

18 A. Here's the first one.

19 Q. Yes.

20 A. No, sir, I do not see it. No.

21 Q. Okay. I need to number these
22 pages for you so we can better
23 identify them. So this document,
24 which is Exhibit B, has five pages.
25 And the signals for the fire begin on

01 page three, which I've noted in the
02 lower corner of the page for you.

03 A. Page four.

04 Q. Is it page four?

05 A. Yeah.

06 Q. I'm sorry. Okay. I'm sorry.
07 That's my mistake. Page four. So
08 you did not see a response for the 75
09 sensor on this one?

10 A. No. No, I didn't.

11 Q. Did that cause you any
12 concern?

13 A. Makes me wonder why it didn't.

14 Q. Do you think it may be related
15 to that communication problem?

16 A. I don't know. Common sense
17 would tell you probably, I mean.

18 Q. Okay. Thank you. What's your
19 authority to purchase at the mine?
20 Do you recommend, approve or do you
21 specify purchases at any time on CO
22 systems?

23 A. I can ask if I need something.

24 Q. Have you ever been turned down
25 for any purchases for a CO system?

01 A. Not turned down. Sometimes
02 the Pyott-Boone only runs certain

03 times of the week. And if it --- you
04 need something, you know, you might
05 have to wait until Tuesday to get it.

06 Q. Have you ever recommended an
07 alarm to be installed on the Number
08 Two section?

09 A. No, I have not recommended it.

10 Q. Are you familiar with the
11 requirements of 30 CFR, part 75350,
12 use of belt air, and 351?

13 A. I haven't read it, no. I just
14 --- like I say, on that area right
15 there, on like a --- that --- I
16 don't.

17 Q. Do you know whose
18 responsibility it would be to assure
19 that there's compliance with those
20 sections of the law?

21 A. No.

22 Q. All computers have a time
23 associated with them. Do you know
24 what the relative difference in time
25 between the computer to the

83

01 Pyott-Boone system is and the actual
02 time?

03 A. No. I heard someone say after
04 the fire, they was looking at it as

05 18 minutes, 15 minutes. It was off a
06 little bit than what the dispatcher
07 had on his.

08 Q. Do you ever reprogram that
09 time and reset it?

10 A. Pyott-Boone has got an
11 administrator password on that
12 computer. I can't change it. If I
13 can, I don't know how.

14 Q. Is there anybody at the mine
15 who has that authority to change the
16 programming?

17 A. Not that I know of. I mean,
18 if they wanted to, I'm sure they
19 could, but I don't think they know
20 how.

21 Q. Are you the most familiar with
22 that?

23 A. Probably. Yeah, probably.

24 Q. So if you have a problem with
25 the system, you have to call

84

01 Pyott-Boone in to do any work on
02 programming?

03 A. Pyott-Boone won't come in.
04 They give you technical support over
05 the phone and you can try and fix it
06 yourself like that, which most of the
07 time you can. I haven't ever had any

08 trouble that couldn't be fixed.

09 Q. Is it pretty user-friendly,
10 the system?

11 A. Yeah.

12 Q. Are you familiar with the CO
13 logbook that the dispatcher
14 maintains?

15 A. I know they got one. That's
16 about all I can say about that.

17 Q. Do you ever look at it?

18 A. No.

19 Q. Don't go back and see what
20 kind of problems might be occurring?

21 A. I don't even know where they
22 keep that. I know --- they're good
23 about telling me, you know, when I
24 come in if there's something wrong,
25 you know, hey, that CO drove me crazy

85

01 last night. It turned on and off ten
02 times. Then they go look at it.

03 Q. Do you know if your supervisor
04 reviews those books at all?

05 A. I'm not sure who does, you
06 know.

07 Q. Do you know what the purpose
08 of that book is?

09 A. No. The law says you got to

10 keep one.

11 Q. That's the best reason to keep
12 it up-to-date, I'm sure. But do you
13 think the company can see any benefit
14 to keeping that book?

15 A. I'm sure there probably are
16 some benefits.

17 Q. But you say you've never
18 looked at that book?

19 A. I've seen it. I mean, you
20 know, I'm not going to say I come in
21 and look at it every day, but I have
22 seen it. I mean, it's a little black
23 and white checkered book that he
24 keeps in a drawer somewhere.

25 Q. We did get the book from the

86

01 company and we have a copy of it
02 here.

03 MR. FRANCCART:

04 If we can mark that as
05 an exhibit.

06 (Jude Exhibit C marked
07 for identification.)

08 BY MR. FRANCCART:

09 Q. I'm going to have you look at
10 something. Your name is in here
11 quite a bit, by the way. I don't
12 know if you knew that or not. Let's

13 go back and look at the date of the
14 fire. On the very last page, and
15 that's been marked by Aracoma with a
16 sticker, the number 002846. And it
17 does have an entry for the fire on
18 the 19th. And you say you haven't
19 looked at this book. Then you
20 probably haven't seen this entry.

21 A. Uh-uh (no). No, I haven't
22 seen that.

23 Q. So you don't know what's
24 required to be written in this book?

25 A. I think the time, date, the

87

01 problem and who they sent to fix it,
02 I believe.

03 Q. Okay.

04 A. And I guess what CO it was.

05 Q. The sensor --- these are all
06 sensor addresses located in the
07 second column on this page; is that
08 what you gained from that?

09 A. Yeah, it would be the sensors.

10 Q. Are you aware of any other
11 problems in the longwall headgate
12 area that were picked up by the CO
13 system within the last couple months?

14 A. Like what?

15 Q. Any CO alarms?

16 A. Not that I'm aware of. I

17 mean, if someone is cutting or

18 torching around them, they're going

19 to get an alarm.

20 Q. And what happens when that

21 occurs?

22 A. The dispatcher usually hollers

23 at them. Mike Brown, I believe his

24 name --- most of the time he's the

25 one that gets stuck with those

88

01 because it's usually on third shift,

02 when the belts are all shut down,

03 that they do the cutting and torching

04 and all that.

05 Q. Okay. Let's go back and look

06 at page --- one page before this one.

07 002845 is the Aracoma designation on

08 that page. If you look on 12/23, we

09 had in the same headgate area sensors

10 82 and 81 and fire written in the

11 column next to it. Do you have any

12 familiarity with that event, what

13 happened that day?

14 A. No. I was on vacation.

15 Q. Oh, you were on vacation?

16 A. Yeah.

17 Q. Okay.

18 A. Yeah, that was Christmas
19 vacation there.
20 Q. Did anybody report this to you
21 after you came back?
22 A. No.
23 Q. Did you hear anything about it
24 at the mine?
25 A. No.

89

01 Q. The boss never told you
02 anything about it?
03 A. Uh-uh (no).
04 Q. Do you know who Brandon Conley
05 is?
06 A. He was a beltman.
07 Q. So that's who would have
08 gotten the call about this alarm?
09 A. Yeah.
10 Q. I see a lot of entries in this
11 book written fire. And if you go
12 back and look in the printouts, a lot
13 of times you'll see fire written on
14 the message. What does that mean?
15 A. If it gets up over ten parts
16 per million, that's what it will
17 print out, fire.
18 Q. So it either could say alarm
19 or fire?

20 A. Uh-huh (yes).
21 Q. Who made the choice on those
22 terms? Did you have anything to do
23 with that one?
24 A. I believe when it gets over
25 ten parts per million, it always says

90

01 fire, I'm believing.

02 Q. Okay.

03 A. That's just, I guess, the way
04 it alarms.

05 Q. So if fire is written in here,
06 does that mean that there was a fire
07 or was ---

08 A. No, not necessarily.

09 Q. --- the signals ---?

10 A. There was numerous things that
11 can cause that. I know even on some
12 of the systems --- or on some of the
13 boxes, the test button for some
14 reason will short out. And that's a
15 big thing that I have trouble with
16 sometimes. It will actually show
17 107. It will shoot it way up to 107
18 and say fire, and you can go to it
19 and change that sensor out or
20 somebody cutting with a welder would
21 cause the sensor to go up or just a
22 malfunctioning sensor, all of a

23 sudden, it would just go crazy. It
24 will count up or count down or, you
25 know, other weird things.

91

01 Q. Do you ever get a sensor go
02 negative on you?

03 A. I've had one go --- I mean,
04 like on the ambient areas, go like
05 negative one.

06 Q. Thank you. Were you aware of
07 any problems on the mother drive
08 prior to the fire?

09 A. Not that I'm aware of.

10 Q. Any problems with electrical
11 breakers or belts shutting off?

12 A. They had trouble with a
13 breaker knob on the takeup. That's
14 all.

15 Q. On a belt takeup?

16 A. Yeah.

17 Q. Do you know when that was?

18 A. No, not right offhand I don't.

19 Q. Do you know where that breaker
20 was located?

21 A. On the starter box --- no, not
22 the starter box, on the KVA box.

23 Q. KVA?

24 A. Yeah.

25 Q. On your calibrations, can you

92

01 describe to us your procedures for
02 calibrating a sensor?

03 A. Yeah. I got two containers,
04 one with zero air and one with 25
05 parts per million air. And the first
06 thing you do is you take it --- you
07 hold the calibration button in and it
08 will flash three times and will say
09 air. When it says air, you put your
10 air on it and turn it on. It should
11 stay zero. Take it off, then you put
12 your 25 parts per million on it next
13 and it will say gas. Put your 25
14 parts per million on and turn it on
15 and it will run up to 25 and turn it
16 off. Very little calibration to it.
17 Once you calibrate them one time,
18 they're pretty good about staying at
19 calibration.

20 Q. There's no adjustments you
21 make, it's all electronically
22 controlled?

23 A. If you have to. Say it would
24 go to 23 or 25 or something like
25 that, yeah, you can run it up to 25.

93

01 Q. That's a pushbutton. You

02 don't have to turn screws or
03 anything?
04 A. No, there's no turning screws.
05 No.
06 Q. So it's all keypad?
07 A. Yeah.
08 Q. Okay. Do you get any kind of
09 an indication on the surface when you
10 do a calibration?
11 A. If everything is functioning
12 right you should.
13 Q. What would you gain on the
14 screen outside?
15 A. Well, I really never looked at
16 that, honestly.
17 Q. Do you get anything on the
18 printout on calibration?
19 A. I'm sure you do.
20 Q. Do you know if they get alarms
21 on the surface when you do a
22 calibration?
23 A. No. When they're in
24 calibration mode, I don't think you
25 get alarms. It's --- on the program
94
01 itself, I think it's got a time limit
02 you can set to it won't alarm for
03 like two minutes after your

04 calibration is over.

05 Q. So usually by that point, the

06 CO is cleared from the sensor?

07 A. Yeah, it clears in just a

08 couple seconds usually when you take

09 it off.

10 Q. Just to be clear on the KVA

11 box, the belt takeup breaker on the

12 KVA box is what was knocking?

13 A. Yeah, it was the takeup

14 breaker for the starter box on the

15 wench.

16 Q. On the wench?

17 A. Uh-huh (yes). Yeah. It was

18 the cable going from the KVA box over

19 to your red box that goes to your

20 wench.

21 Q. And what fixed the problem on

22 that; do you know?

23 A. I believe they switched the

24 --- on your breakers you got a

25 polarity switch, and I believe they

95

01 just flipped the polarity switch on,

02 which that's for like a ground

03 monitor. And I don't know the

04 hundred percent workings behind that,

05 but I can say when you go to a

06 splitter box or something, you got a

07 polarity switch on it, and you can
08 watch your needle. When they start
09 something up on the wall and your
10 needle goes this, that's the way you
11 want it to go. If it goes bounces
12 backwards, it's going to knock your
13 breaker when you try starting
14 something up. So you flip your
15 polarity switch and it will jump the
16 other way. That's more or less what
17 that switch right there does for your
18 breaker.

19 Q. Do you know who made that
20 repair?

21 A. I think Billy Ray and Fred may
22 have went up there and flipped it. I
23 ain't real sure. Chad Neal was up
24 there that day, too.

25 Q. What shift was that?

96

01 A. That was the second shift when
02 they went up there, I believe.

03 Q. Do you know what shift it was
04 repaired on?

05 A. I think it was the second
06 shift.

07 Q. Second shift?

08 A. I ain't going to swear to it.

09 Like I said, Chad Neal was up there.
10 They had some trouble with it that
11 morning knocking, and I think he may
12 have fixed it, went up there and
13 flipped the switch.

14 Q. I'm going to give you one more
15 exhibit here, Exhibit D Jude.

16 (Jude Exhibit D marked
17 for identification.)

18 BY MR. FRANCAERT:

19 Q. And on page ten there's a code
20 message written out, fire, fire
21 suppression activated. What does
22 that mean?

23 A. That is if --- that means the
24 flow switch is actually --- came on.
25 And that can be from somebody turning

97

01 the water hose on on the belt and
02 making the flow switch activate or it
03 can be one of the sprinklers got
04 knocked off, or it can be a fire
05 that's burning into it. Like I say,
06 we haven't had a fire, so that's not
07 the case on that.

08 Q. So what would be most likely,
09 if somebody turned a hose on?

10 A. Yeah. I would probably say
11 that somebody turned the hose on,

12 they hit it when they walked by.
13 Because you've got a --- at the end
14 of the line, the way we do it
15 monthly, you test them --- I'm sorry,
16 weekly you test them. And you
17 actually go to the hose and turn it
18 on and it will shut your belt off.
19 And if they hang down, so they're
20 easy access to get to, you can hit
21 them or, you know, maybe the --- I
22 don't know if the belt was running
23 that day or not. Maybe they was just
24 using it as a liquid shovel, you
25 know.

98

01 Q. To clean up?
02 A. Yeah.
03 Q. So the only alarms you would
04 get on the screen in the dispatcher's
05 office would be for warnings, alarms
06 and for belt operations; is that
07 correct?
08 A. Yeah. Yeah.
09 Q. On the KVA repair that we
10 talked about, that was the second
11 shift, but ---
12 A. No, that's what ---.
13 Q. --- first shift?

14 A. I'm going to say it was Chad
15 Neal on dayshift that actually fixed
16 the problem.

17 Q. Do you have any idea what
18 time?

19 A. No.

20 Q. Thank you. Go back to the
21 same Exhibit D that you were on on
22 page ten again. On the 29th, is this
23 the fire you talked about that you
24 had with Junior and ---?

25 A. Yeah, I believe it was when I

99

01 was off ---

02 Q. Okay.

03 A. --- is when they had it. And
04 it's right around --- yeah. I guess
05 94 is at the tailpiece, located on
06 the Five belt, and that's where it
07 originated.

08 Q. Okay.

09 A. And then as you can see, the
10 air was moving up the belt, and they
11 went off in order.

12 Q. Did you ever go back and look
13 at the records to see how the system
14 performed that day?

15 A. No. No. Mike said it did
16 real good. That's ---.

17 Q. Were you curious?

18 A. No.

19 Q. No? That's your baby; isn't

20 it?

21 A. One of many babies.

22 Q. It did seem to perform rather

23 well. Do you know if this fire was

24 reported to MSHA or the State of West

25 Virginia as a reportable fire?

100

01 A. I don't know. Like I say, I

02 don't know how big it was or

03 anything. I just know that Mike said

04 the COs did good. He said, they

05 caught that fire down there. He

06 said, them boys went there and put it

07 out.

08 Q. Good. Do you have any idea

09 how long it lasted?

10 A. No.

11 Q. Thank you. On your CO

12 installations, you have them in the

13 belt entries. Do you have any other

14 entries that are monitored by the CO?

15 A. I got the --- let's see.

16 Well, the first split of longwall air

17 is monitored on the intake, but they

18 had moved and that CO had not been

19 reinstalled in the intake somewhere.

20 I had to find out where it needed to

21 be.

22 Q. In the intake? What do you

23 mean by in the intake?

24 A. From looking at the map there

25 ---?

101

01 Q. Would you come up and mark

02 that for us? We'll use a different

03 color this time, though. We'll use

04 red this time.

05 A. I'm thinking --- see, I ain't

06 real sure because they may have

07 already moved past where I needed.

08 See, I used to have one right through

09 here, back down here, and they moved.

10 And I needed --- see, I need to see

11 where the longwall is actually

12 located.

13 Q. Let's say the longwall is

14 probably around 17 break.

15 A. I think actually the longwall

16 is up here now. The longwall may be

17 down there, but the power center and

18 stuff is what I'm talking about.

19 Q. Okay.

20 A. And if they're up here, then I

21 think they have to come right here,

22 which the CO --- we was in the
23 process of moving one right there.
24 It's probably still hanging up there,
25 truthfully.

102

01 Q. Would that be at the power
02 center?

03 A. No. I got one at the power
04 center. I got one 50 feet inby the
05 mule train.

06 Q. Is that sensor number 88; do
07 you know?

08 A. Yeah, sensor 88. And 102 is
09 at the gate box.

10 Q. So you would have another one
11 in the intake? Is that the escapeway
12 or ---?

13 A. The only --- when your tail is
14 blocked --- if your tail is blocked,
15 then they make you put one over
16 there. They said they got blocked
17 one day, so they was going to ask me
18 to put one in.

19 Q. Do you know when that blockage
20 occurred?

21 A. No. No.

22 Q. Do you know when they told you
23 you had to put that sensor in?

24 A. They just told me I needed to
25 get one in case it blocked again.

103

01 That way they'd be, you know, legal
02 for it.

03 Q. Okay.

04 A. And that's what we was in the
05 process of doing, is going to put one
06 in the intake somewhere.

07 Q. So number 88 sensor is not
08 intended to comply with that?

09 A. No. The number 88 sensor is
10 50 foot inby the power center and the
11 mule train. I guess the power center
12 would be sitting right here and the
13 sensor would be, say, right here.

14 That sensor would be like right there
15 or whatever. It's just 50 foot in
16 case there would be a fire at the
17 power center. You know, it would
18 blow --- should blow up over the
19 power center and into that CO --- the
20 CO that I was talking about. At the
21 time, the tail wasn't blocked, so it
22 didn't need it. It got out and it
23 came open. That's when they told me,
24 they said, we probably need to put
25 one up there just in case we do get

104

01 the tail blocked.

02 Q. Well, the longwall face right
03 now, from what we've seen, is at 17
04 and a half crosscut. So that would
05 be off this map, just off the map.
06 So where would you position that
07 intake sensor? Would you mark that
08 on the map for us, please?

09 A. Yeah.

10 WITNESS COMPLIES

11 A. Probably right anywhere
12 through here. Anywhere along that
13 area.

14 BY MR. FRANCAERT:

15 Q. Just mark on there intake
16 sensor.

17 A. That's if the --- that's if my
18 power center is not past this point.

19 Q. We're assuming the power
20 center is down here.

21 A. That's right here.

22 Q. And that's inby that location.

23 A. If headgate and if tail is
24 blocked.

25 Q. Thank you. You can go ahead

105

01 and sit back down. Do you know who
02 requires that sensor to be in place,

03 what regulation?

04 A. I guess that's the law.

05 Q. Is it the State or MSHA

06 or ---?

07 A. I ain't real sure. I just

08 know that that's --- that's what they

09 said, you know. They said if the

10 tail is blocked, we got to have a

11 sensor on the intake side. It wasn't

12 blocked at the time. It blocked and

13 then it came open. They said, well,

14 if it does get blocked, then we'll

15 need one there, so you need to go

16 ahead and put one in. We was in the

17 process of putting a CO sensor over

18 there.

19 Q. You're the only one that

20 installs the CO sensors?

21 A. Yeah.

22 Q. I know when I walked up on the

23 longwall, there was a brand-new

24 sensor in a box. Do you know why

25 that was there?

01 A. Yeah. I walk a lot, so I laid

02 it down there, so ---.

03 Q. Did you?

04 A. Yeah.

05 Q. Were you intending to install

06 that somewhere?

07 A. I was going to. That's the
08 intake sensor I was talking about.

09 You probably seen there's a cable
10 that runs down the belt line with
11 that, that would be the --- I had the
12 third shift run the cable. They run
13 it to the wrong place, so I was going
14 to have to go back and change the
15 cable.

16 Q. Did you have a sensor in the
17 intake at any time before that?

18 A. Yeah. We had one down when it
19 was first started.

20 Q. Was that because of the
21 tailgate being blocked?

22 A. It wasn't blocked. It was
23 just in case.

24 Q. Was it functioning and in the
25 intake escapeway?

107

01 A. No, it wasn't functioning at
02 the time. It was in the intake, but
03 we didn't have it hooked up. But it
04 was there, ready to go, in case they
05 had it blocked.

06 Q. Do you know if the longwall
07 was using belt air at that time to

08 ventilate the face?

09 A. I'm assuming the longwall

10 always uses belt air.

11 Q. You said that Brandon Conley

12 worked on the belts?

13 A. Uh-huh (yes).

14 Q. Are you aware of a radio

15 interview he did in January regarding

16 an incident on the 23rd that was in

17 the book?

18 A. I've heard, you know, that he

19 said we had trouble with that mother

20 drive, but that's --- I haven't heard

21 the interview or anything or seen it.

22 Q. Have you talked to him about

23 that at all?

24 A. Uh-uh (no).

25 Q. That day of the fire, was

108

01 there a sensor in the intake

02 escapeway on the longwall?

03 A. The day of the fire, at the

04 --- the 29th?

05 Q. Nineteenth (19th).

06 A. Oh.

07 Q. January 19th. I'm sorry.

08 A. No, that was not one.

09 Q. So you were preparing to put

10 one in?

11 A. Yeah. That's the one you
12 found laying there.
13 Q. Okay. Have you ever been
14 trained on extinguishing fires?
15 A. No.
16 Q. Have you ever had to put a
17 fire out?
18 A. Uh-uh (no). No.
19 Q. Are you required to respond to
20 warnings and alarms?
21 A. Again, that falls back to when
22 a warning or an alarm comes, then
23 they notify the responsible person
24 and he tells who to go fight the fire
25 or check it out or ---.

109

01 Q. So if there was a call to the
02 dispatcher from the system to take
03 some action, ---?
04 A. Yeah, he should get ahold of
05 the mine foreman.
06 Q. If it's a malfunction, would
07 he contact the mine foreman also?
08 A. He's supposed to, but most of
09 the time he tries to get ahold of me.
10 Q. Do all the sensors respond in
11 a similar manner when you calibrate
12 them?

13 A. Uh-huh (yes).
14 Q. But you're not sure what the
15 printout says?
16 A. Uh-uh (no).
17 Q. You told us you use a 25 part
18 concentration?
19 A. I have used a 50 before, but
20 most of the time it's 25.
21 Q. Is it a smart sensor, it can
22 recognize the concentration, ---
23 A. Yeah.
24 Q. --- or you just ramp it up?
25 A. It --- yeah, it knows what it

110

01 is.
02 Q. Do you know where the record
03 book is kept for the CO calibrations?
04 A. Yeah. It's in the belt book.
05 Q. In the belt book?
06 A. It's labeled number Four and
07 number six-foot belts is the record
08 book.
09 Q. So you don't have a separate
10 calibration book, it's in with the
11 ---
12 A. Uh-huh (yes).
13 Q. --- other examination book?
14 A. Yeah.
15 Q. Okay. That's why we couldn't

16 find it. We didn't look there. The
17 printout from the computer on the
18 Pyott-Boone system, do you maintain a
19 copy of that somewhere on the
20 property?

21 A. Yeah. When it prints out, the
22 dispatcher usually grabs it and just
23 throws it in a little tray.

24 Q. Do you know what he does with
25 it when that tray fills up?

111

01 A. No.

02 Q. Could that printout be used as
03 a record of calibration also?

04 A. I don't know.

05 Q. Do you know if all of your
06 calibrations come out on that
07 printout?

08 A. I don't know.

09 Q. You haven't looked at it to
10 know? How do you know if you've had
11 a successful calibration when you
12 finish a sensor?

13 A. It just --- as long as it
14 reads --- if I put my gas on it and
15 it goes up to 25, then that's good.
16 It don't have to be adjusted or
17 anything.

18 Q. Do you get any messages on the
19 screen, on the sensor, if you have a
20 bad calibration or if your
21 calibration fails?

22 A. Uh-uh (no).

23 Q. You never had that happen
24 before?

25 A. Uh-uh (no). It just --- it

112

01 won't read. I mean, I've had sensors
02 where you put them on there and you
03 turn it on and not do anything, and
04 you have to change them. A lot of
05 the Pyott-Boone --- I've got some
06 here lately that you actually hook up
07 and it says factory calibration, and
08 those we have to send back and let
09 them do something to them. That's
10 the only trouble I've had, actually,
11 you know, with any type of
12 calibration.

13 ATTORNEY HARDY:

14 Could we take a
15 five-minute recess?

16 MR. FRANCAERT:

17 Sure.

18 SHORT BREAK TAKEN

19 MR. FRANCAERT:

20 Mr. Tucker will

21 continue with the questions
22 for the State now.
23 BY MR. TUCKER:
24 Q. I may be, you know, bouncing
25 around a little bit on the questions,

113

01 so just bear with me. Is this the
02 only mine that you've worked at?

03 A. I worked at Solid Energy in
04 Kentucky for five months as an
05 electrician trainee, but that
06 consisted of shoveling belt.

07 Q. Okay. Other than that, as far
08 as West Virginia, ---

09 A. Yeah.

10 Q. --- is Aracoma Mine ---?

11 A. Yeah.

12 Q. Okay.

13 A. I worked outside of the mines.
14 Sparta Coal, I worked outside just
15 doing stuff for them, not
16 underground.

17 Q. Right. You mentioned you do
18 some preshifting. Is that just of
19 the belts or do you do other fire
20 bossing?

21 A. I have belts and travelway for
22 the Rum Creek side. Usually if they

23 don't have a certified man or
24 something that they can use, they'll
25 holler at me.

114

01 Q. Okay. Do you carry an
02 anemometer with you if you're fire
03 bossing?

04 A. No. I carry a spotter only, a
05 270 spotter. Like on Rum Creek, you
06 know, it's required, a movement of
07 air, at least 50 feet per minute.

08 And like I say, you don't have to ---
09 you can hit your hands up and dust is
10 gone.

11 Q. Right. Okay. When did you
12 start your vacation period?

13 A. I'm going to say the 22nd
14 maybe.

15 Q. I think the 23rd was the
16 Friday before Christmas.

17 A. Yeah, I took that Friday off.
18 So I started that Thursday.

19 Q. You took that Friday off?

20 A. Yeah.

21 Q. How would you normally know if
22 the tailgate is blocked?

23 A. They would tell you. Someone
24 would tell me.

25 Q. Just one of the foremen, ---

01 A. Yeah, one of the ---.

02 Q. --- somebody in management?

03 A. It usually probably would be

04 C.W. or somebody like that outside,

05 the longwall coordinator or

06 something, Rod maybe, Rod Morrison.

07 Q. As far as that sensor in the

08 intake that you mentioned you were in

09 the process of installing, ---

10 A. Uh-huh (yes).

11 Q. --- is that something that's

12 done after the fact, as far as the

13 tailgate being blocked?

14 A. I ain't real sure. We try to

15 keep one in there. I mean, it's just

16 --- the way --- this panel was weird.

17 The way it's set up, you had the

18 different --- you know, you had your

19 air coming up down here first, and

20 then as I pushed it up, the air moved

21 up, and then it's going to move up

22 again. And it was just a little hard

23 to do. I wasn't, you know, really

24 sure where to even put this one here.

25 That's why when I had them boys run

01 the cable, they ran it to the wrong

02 place. And I talked to John McNealey
03 (phonetic), and he kind of
04 straightened me on where it needed to
05 go, and that's what we was doing.

06 Q. Who told you originally that
07 you need to put one in the intake?

08 A. I ain't real sure. I don't
09 remember who told me. I just
10 remember they said it needed to be in
11 case the delta gate got blocked.

12 Q. Do you know when that was,
13 approximately?

14 A. No. I forget.

15 Q. You don't know if it was last
16 week, the last two weeks, last month?

17 A. No. I couldn't even tell you.

18 Q. The sensor that you mentioned
19 --- Bill mentioned he saw one when he
20 walked up the longwall, there was a
21 sensor laying there.

22 A. Yeah. That's where the cable
23 originated from. It came out of that
24 junction box there and went down the
25 belt I think two breaks and then

117

01 over. And they didn't take it over
02 to the actual --- where it needed to
03 go. They ran a break short, I
04 believe is what it was.

05 Q. And where exactly is that?
06 The sensor that he mentioned that he
07 saw there, you said that's the one
08 you were going to ---?

09 A. Yeah, it should have been at
10 --- he should have found one laying
11 right there underneath 83.

12 Q. Okay.

13 A. There was a spool of cable, I
14 think, and there should have been a
15 box laying there with one in it.

16 Q. Do you recall working on that
17 83 sensor recently?

18 A. Yeah. Eighty-three (83) was
19 changed. I had one in there that
20 worked, but it --- the zero on it
21 would disappear, and it looked like
22 it wasn't working. But it just ---
23 the LED in there wasn't --- I took
24 that one off and put a new one in,
25 and then I had that other box laying

118

01 there that I was going to put the new
02 one over in the intake in it.

03 Q. Okay. Do you remember when
04 you was working on that one?

05 A. I don't remember what --- it
06 was probably late November, I would

07 say, the 1st of December.

08 Q. Okay. You mentioned it takes
09 two consecutive sensors to alarm
10 before the audible alarm would go
11 off.

12 A. Uh-huh (yes).

13 Q. What if you had a sensor that
14 alarmed and then you had a bad sensor
15 and then you had another good sensor
16 that alarmed, would that trigger ---

17 A. Yeah.

18 Q. --- if you had a bad sensor in
19 between?

20 A. Yeah. On the program it asks
21 you --- you put the COs that you want
22 to actually set the alarm off. And I
23 think if any of those two would go
24 off that's along that line, then it
25 alarms.

119

01 Q. So it's along the entire line.
02 It necessarily wouldn't have to be
03 the very next one in line?

04 A. No, just as long as two go off
05 up the belt line.

06 Q. Okay. Have you been working
07 at the mine since the 19th?

08 A. Uh-huh (yes).

09 Q. What basically have you been

10 doing?

11 A. Most of it's been out in the
12 shop, you know, working on scoops or
13 we've went towards Rum Creek and ran
14 some cable that was down, you know,
15 just trying to keep people that are
16 doing stuff --- on the diesel rides
17 and whatnot, keeping all that up.

18 Now, I got my COs back up now going
19 from Rum Creek to Three section, so
20 they can run the belts when they're
21 shoveling.

22 Q. Okay. To the best of your
23 knowledge, has anybody ever reset the
24 clock on the computer?

25 A. Yeah. Yeah, it's straightened

120

01 up now.

02 Q. Do you know who did that or
03 who would do that?

04 A. No. It's right, though. It's
05 with the dispatcher's clock now.

06 Q. Are you aware of when that was
07 done, ---

08 A. Uh-uh (no).

09 Q. --- roughly. Okay. You've
10 mentioned you had a pretty good fire
11 that Karl White and Junior Robinson

12 had found, and they got called and
13 went up there, and it ended up when
14 they got there, you know, it was
15 flaming, they put it out. Are you
16 aware of any damage or anything that
17 was done as a result of that fire?

18 A. No. It just burned a couple
19 belt shavings is what it --- I think
20 is what they said. I haven't seen
21 it. I walked down the belt line the
22 other day when we was walking the
23 high line with --- and there was
24 nothing there.

25 Q. You didn't see where any

121

01 cables had to be repaired or anything
02 of that nature?

03 A. Uh-uh (no). No. You can't
04 even tell there was a fire there.

05 Q. Okay. You never had to do
06 anything to your system as a result?

07 A. No.

08 Q. Okay. When was the last time
09 prior to the 19th that you were in
10 the mother drive area?

11 A. I'm around there quite a bit.
12 I mean, like I say, I'm always ---
13 I'm on foot. I don't have a ride.
14 So anywhere in that mines I go, I

15 walk, and that's everywhere. That's
16 up that hill, down that hill. I've
17 walked past it quite a bit.

18 Q. On the day of the 19th, could
19 you just tell us briefly what you did
20 on that day?

21 A. On the 19th, let's see, I came
22 in. They said they was having some
23 trouble with a roof bolter that they
24 was using on Ten headgate. So I
25 started up that way. And they said

122

01 the breaker knocked on the longwall
02 belt. So I went down there and I put
03 it in and it stayed. And I was going
04 to stay there with it to see what it
05 was doing, and Shiner hollered at me,
06 which is Chris Herndon, he said, that
07 pinner needs to be fixed. Can you
08 come and fix it. So I left there and
09 went down the hill and fixed that
10 pinner. I guess it knocked again,
11 and that's when they hollered at Chad
12 Neal.

13 Q. Did you ever go back to the
14 mother drive ---

15 A. Not that day.

16 Q. --- after that point?

17 A. No.

18 Q. Have you been along the takeup
19 area of the mother drive for any
20 reason like on that day, the 19th or
21 say a week prior to that?

22 A. I'm sure I have a week, at
23 least a week prior to that, but.

24 Q. Do you recall seeing any fire
25 hose in that area?

123

01 A. No, I do not recall. I don't
02 know. There could have been. I
03 don't know.

04 Q. Do you know what color the
05 fire hose is?

06 A. It's pink or red, whatever
07 color you want to call it.

08 Q. Did you see any like laying on
09 the ground or maybe rolled up or
10 anything that maybe you could think
11 of?

12 A. No, not right off the top of
13 my head.

14 Q. Okay.

15 A. I'm not the most observant
16 person that you will find.

17 Q. Right. When you were there at
18 the breaker, was that a one-shot
19 deal, it had knocked and you put it

20 in ---

21 A. Yeah.

22 Q. --- and then you were called

23 away?

24 A. Yeah.

25 Q. No other problems, I mean,

124

01 that time you were there?

02 A. No, it never knocked again. I

03 probably stayed there another 15

04 minutes before I got called away.

05 And it never had another bit of

06 trouble with it.

07 Q. Did somebody come and pick you

08 up or did you walk on that Ten

09 headgate?

10 A. I walked, yeah. You think I'd

11 be slimmer than what I am; wouldn't

12 you?

13 Q. You say you didn't remember

14 who told you to put the sensor in the

15 intake?

16 A. No, I don't remember.

17 Q. You primarily work the

18 dayshift?

19 A. Yeah, usually, unless there's

20 a problem or something they'd call me

21 up.

22 Q. Do you ever check the fire
23 suppression system on the belts for
24 the dayshift?

25 A. Yeah. We check them on

125

01 dayshift and on hoot owl. And we do
02 that by running test valves.

03 Q. And would that require the
04 belt to be shut off then when you
05 open that test valve? How does that
06 usually work?

07 A. Yeah. It will shut off. But
08 the way that I have been testing it
09 here recently on shift is I can
10 actually stick a jumper in it and do
11 it and see if my alarm opens up, make
12 sure everything comes on right the
13 way it is, and then I take my jumper
14 out and reset everything.

15 Q. So you don't actually shut the
16 belt off?

17 A. No. I think then my boys ---
18 I wouldn't swear to it. I think some
19 of them do it on third shift, just to
20 double check me. But I mean, there's
21 nothing that would keep it from
22 shutting off because I actually go
23 make sure the sensor opens up and
24 make sure the contacts would open up.

25 And the only thing you got from the

126

01 contacts this far is a piece of
02 cable. As long as that contact
03 opened up, it has to shut your belt
04 off. I mean, there's no way it
05 cannot.

06 Q. Okay. Are you aware of any
07 water problems at any of the belt
08 drives in the past or any that comes
09 to remembrance at all?

10 A. Not that I'm aware of. I know
11 they had some trouble getting water
12 up the belts for a little while until
13 we got the pressure pumps and stuff
14 going, you know, to get the water
15 actually pumped up the hill. That's
16 the only water trouble we really had
17 that I'm aware of. And the pressure
18 pump took care of all that.

19 Q. Have you ever checked the
20 system and maybe find out that the
21 water had been turned off or anything
22 of that nature?

23 A. There has been an instance
24 like on the Rum Creek sides where ---
25 on the 48-inch belt. This has

127

01 probably been a year ago or
02 something, that yeah, that the water
03 has been turned off. I don't know
04 what reason or another, but yeah it
05 has been turned off, which I think
06 when we found that is with Richard
07 Baugus (phonetic).

08 Q. Are you aware of where the
09 firefighting emergency materials are
10 located underground?

11 A. I know where the --- we got
12 fire extinguishers and whatnot at
13 power boxes and like at the pinch
14 breaker. Right there at the mother
15 drive there's a fire extinguisher
16 there and bag dust, but --- then they
17 usually keep the water hoses hung up
18 on the fence somewhere is usually
19 where you'd find those.

20 Q. At the belt drive?

21 A. Yeah.

22 Q. You mean, the fencing at the
23 guarding ---?

24 A. The screen bolting they put up
25 on the sides. They usually just hang

128

01 it on the sides of them.

02 Q. Okay. Some people sometimes
03 refer to that firefighting emergency

04 material as barricading material.
05 You know, they'd have maybe like rock
06 dust and so many feet of boards and
07 nails and things of that nature. Are
08 you aware of where anything like that
09 would be located?

10 A. No, I don't.

11 Q. Okay. You mention you pretty
12 much --- you know, you do a lot of
13 walking. And if you had an emergency
14 underground, how do you think they
15 could get ahold of you on, let's say,
16 a normal day?

17 A. On a normal day, usually it's
18 not real hard. We got phones
19 everywhere in that place. But at Ten
20 headgate, they was running phone line
21 down, and it just wasn't down as far
22 as I was.

23 Q. Excuse me a second. Why would
24 so many communication dead and
25 communication gained entries be on

129

01 the CO history?

02 A. Well, the one on 75, that's
03 just a bad CO. It looked like it
04 needs changed. And then a lot of
05 times, a lot of that is just noise

06 from where people's cut in phones or
07 they've got a splice wet and --- I
08 mean, all this is general maintenance
09 that we try to repair as it comes
10 along, but you know, you get behind a
11 little bit. But that's --- most of
12 it is --- it's just trouble where
13 people has cut into a cable or
14 something or a rock has fell and hit
15 it and it will give you some
16 communication problems.

17 Q. Do you use terminator
18 resistors on the CO system?

19 A. Uh-huh (yes). Yeah, the
20 little small ones, is that what
21 you're talking about? Yeah. Got
22 them at Rum Creek and then there's
23 one on Three Section CO. I think the
24 one on the --- the primary resister
25 on Two head is --- or the Two

130

01 section, I think it's gone. I don't
02 believe there's one on it. Now, I
03 don't know about the mother drive.

04 Q. So if you didn't have one on
05 it, do you think it would cause
06 problems?

07 A. It possibly could, but ---
08 I've been there, like I say, six

09 years and probably half of that time
10 or more there hasn't been any
11 terminating resistors on there and
12 it's --- I haven't seen any. The
13 only time I see the problem is when
14 there's something on the line
15 actually itself, and that's usually a
16 cut place, a nick place. When you
17 got 20 miles, 15 miles of cable and
18 something the size of a pinhole is in
19 a cable and it causes you trouble,
20 it's hard to find sometimes.

21 Q. No doubt. Do you have a scope
22 meter to help to troubleshoot the CO
23 system?

24 A. No. I use a fluke, a digital
25 meter. I have used a scope now. We

131

01 used to have one and the --- the guy
02 that did this before me said it was
03 given to him and he took it with him,
04 so that was the last time I seen the
05 scope meter. And Robert Ellis has
06 one that it's his personal one, that
07 if we get into bad trouble, then
08 he'll end up bringing it.

09 Q. Since you pretty much maintain
10 it and do most of the work on it, do

11 you think you need one to
12 troubleshoot the system?
13 A. I'd like to have one, yeah.
14 That would help out.
15 Q. Do you have any idea of why
16 that --- or what's your opinion about
17 the calibration history printout?
18 Why do you think that it does not
19 correspond with the CO calibration
20 record book?

21 A. You know, sometimes I
22 calibrate --- like I say, they're all
23 calibrated. Everything is calibrated
24 before they go into service. So
25 those are not going to be, per se, on

132

01 the printout there because I've got a
02 UPS hooked up in the light room. And
03 that's what I do, I calibrate in
04 there. And then another thing is
05 sometimes when I calibrate is, like I
06 say, I got so much stuff going on,
07 that I'll actually calibrate when
08 there's a problem and I'll calibrate
09 them as I'm going along fixing the
10 problem. And a lot of times my
11 communications may be dead, and
12 that's when I'm actually the one
13 monitoring the line. If I got my own

14 CO monitor or whatever, then I can do
15 it then. I mean, you got to be able
16 to manage --- when you're doing nine
17 men's job and you're the only one
18 doing it, you've got to be able to
19 come up with little tricks of the
20 trade to help you out.

21 Q. Just when the op ---. Go
22 ahead. I'm sorry.

23 A. Like I say, when the opportune
24 time comes, yeah. If it's within
25 that time period, yeah, I go ahead

133

01 and do it.

02 Q. That's what I was going to
03 comment on. When the opportunity
04 presents itself, that's when you ---
05 your schedule just changes, depending
06 on what's going on?

07 A. Oh, yeah. You don't know what
08 you're doing, what's going to happen.
09 I mean, they may tell you something
10 outside and before you get
11 underground, it's changed ten times,
12 I mean.

13 Q. All right. You've been around
14 the mother drive area a good bit and
15 you've worked up at Ten headgate,

16 which we was working on the bolter
17 and different things. Do you know
18 why the smoke got from the mother
19 drive area up to Two section?
20 A. I can only speculate on that.
21 I mean, I don't know the reason.
22 Q. What would be an opinion or
23 speculation?
24 A. An opinion would be maybe the
25 doors were open. I mean, that would

134

01 be --- that would be my guess.
02 Q. All right.
03 A. It shouldn't go up that way.
04 It should go down to the mother
05 drive. It should have went to the
06 longwall, is where it should have
07 went.
08 Q. Should the master station
09 printout during calibrations
10 correspond with the sensor readout?
11 A. What do you mean? The master
12 station usually --- it's usually
13 pretty good about showing a lot or
14 everything that happens on that
15 system.
16 Q. But when you're in --- you
17 said when you calibrate, it goes into
18 calibration mode?

19 A. Yeah.

20 Q. So it may not necessarily ---
21 the readout may not necessarily show
22 the CO gas that you put it under when
23 you do the calibration?

24 A. It will on the sensor, because
25 that's how you can adjust it. That's

135

01 all I'm aware of.

02 Q. But it may not on the
03 printout?

04 A. Yeah. It may or it may not,
05 depending on if --- like I say, if it
06 was one of the times I'm calibrating
07 and it's one of those dead
08 communication faults because I've got
09 some cable trouble up that way, then
10 it may not.

11 Q. On the December the 11th, did
12 you have a sensor 188 at the mule
13 train on the longwall?

14 A. Yeah, that's one 50 foot inby
15 the mule train.

16 Q. From 822 to 938 it alarmed,
17 nine parts per million on dayshift.
18 Do you recall that event? What do
19 you recall about that?

20 A. I don't recall anybody that

21 went down there and looked at it.

22 Maybe they was cutting around it or

23 something.

24 Q. Okay.

25 MR. TUCKER:

136

01 That's all I have at

02 this time. Your turn. Thank

03 you.

04 BY MR. FRANCAERT:

05 Q. Jesse, I'm going to ask you to

06 go back and look at Exhibit B again.

07 That's one of the CO system printouts

08 again back at the belt boss stop.

09 And you have a message on the first

10 one of the three belt boss stations

11 from master station. What does that

12 indicate?

13 A. That looks like that is where

14 they stopped the belt from outside.

15 Q. And how would they do that?

16 A. Just go to the computer and

17 hit stop, and it would stop the belt.

18 And then the other two would go off

19 in sequence behind them.

20 Q. So are they all set up to go

21 off together, no matter which one is

22 stopped, or is it one ---?

23 A. No. It's one right after the

24 other. If you stop the furthest one
25 out, then the ones behind it will go

137

01 off.

02 Q. So to get this sequence, what
03 would you expect? Which belt would
04 have been stopped? Can you tell us?

05 A. It looks like Six was stopped
06 first, then Eight and then Seven.

07 Q. Do you know which belt ---?

08 A. The way it looks, Six would be
09 one, Eight would be two and Seven
10 would be three.

11 Q. So the Number One belt, which
12 is the most outby the 48-inch belts,
13 would stop first?

14 A. Yeah, if that's --- I mean, we
15 could look on the computer and see.

16 Q. If you stopped the Number
17 Three belt, would they also sequence
18 off ---

19 A. No.

20 Q. --- coming outby?

21 A. No. One and Two would stay
22 running, Three would stop.

23 Q. Are you familiar with the
24 construction project involving
25 extension of the 72-inch belt in the

01 northeast mains?
02 A. Uh-huh (yes).
03 Q. Do you walk through that area
04 very much?
05 A. I walk by it, through the
06 double doors there. It's straight on
07 up where I walk the 48-inch belt up.
08 Q. Have you done any examinations
09 in that area?
10 A. No.
11 Q. Do you know who's in charge of
12 that project, installing that
13 structure?
14 A. The structure would go to Don
15 Haggie (phonetic) and Chris Herndon.
16 They're the construction foremen for
17 outby.
18 Q. Did you work on that project
19 at all?
20 A. I'm around them. Like I say,
21 I fix their equipment. That's the
22 two foremen I'm probably around more
23 than anybody. We pair up quite a
24 bit.
25 Q. Are you familiar with the

01 ventilation controls in that area?
02 A. I know the double doors,

03 that's about --- or the four doors or
04 whatever is right through there.

05 Q. Are you familiar with the
06 stoppings?

07 A. Yeah. There used to be a
08 stopping --- see, that's my toolbox
09 that sits in between the doors there.

10 There used to be a stopping right
11 there. They took it out. I don't
12 remember when. And then there was
13 another stopping that was to the
14 right of the KVA boxes back there.

15 Q. Could you come up by the map
16 and show us those locations?

17 A. I can try.

18 Q. First, if you can mark the
19 location of your toolbox.

20 A. My toolbox set right ---.

21 Q. Can you label that for us,
22 please?

23 WITNESS COMPLIES

24 BY MR. FRANCAERT:

25 Q. Now, you mentioned the two

140

01 stoppings being removed. Do you know
02 which ones they are?

03 A. There was a stopping here and
04 then there was a stopping here, I

05 think.

06 Q. And those two stoppings are
07 marked in green on the map. The
08 first stopping is to the right of the
09 mother drive in the northeast mains,
10 and the stopping number is 3266, and
11 also to the south of 3266, both
12 marked in green. And the toolbox is
13 also marked in that area below the
14 south stopping. Do you know when
15 these stoppings were removed?

16 A. Not right off the bat. I
17 think they knocked this stopping here
18 when either they was putting the belt
19 through right there or they set that
20 splitter box right there. I ain't
21 for sure when they removed those.
22 But after they removed them, they
23 went back and hung a curtain right
24 there.

25 Q. And that's a stopping in the

141

01 structure entry ---

02 A. Yeah.

03 Q. --- where they're installing
04 the structure?

05 A. Yes.

06 Q. Okay. That's to the east of
07 spad 3266?

08 A. Yeah.

09 Q. What about this other
10 stopping, do you know when it was
11 removed?

12 A. No, I ain't sure. They was
13 having some trouble with the heat.
14 That would be the three power boxes
15 right here. They was having some
16 trouble with heat. And I think they
17 said that that was allowed to be
18 removed, so they removed it so they
19 could keep that cooler right there.

20 Q. Do you know if any of the
21 stoppings between the 72-inch
22 structure and the intake escapeway
23 were removed?

24 A. I do not know.

25 Q. Sensor number 75, can you give

142

01 us an approximate location on this
02 map where it would be?

03 A. Is this the belt head right
04 here?

05 Q. That's an overcast.

06 A. I need the second belt head is
07 what I need. Do you got a spad
08 number maybe?

09 Q. I don't. It's just inby that

10 belt drive, is that where it is?

11 A. Yeah. It's at the Number Two
12 head on Two section, it would be
13 probably 20 feet behind the motors.

14 Q. That's all we need to know.

15 You can go ahead and have a seat
16 then. Thank you. Jesse, as far as
17 that heat problem that you had in
18 those electrical areas, was that to
19 the north side of that stopping?

20 A. Uh-huh (yes).

21 Q. Where the installation is?

22 A. Yeah. It wasn't really a
23 problem for me. I mean, the only
24 thing it was doing was on the wench
25 box itself it would say on the fault,

143

01 warning, temperature high, enclosure.
02 And it was where it was warm back in
03 there.

04 Q. That's to the north of the
05 toolbox location?

06 A. Yeah.

07 Q. Just to be clear, do you know
08 when those stoppings were removed?
09 Was it prior to the installation of
10 that structure, the belt structure?

11 A. It was --- I believe it was
12 --- the reason they removed that one

13 was for the installation of the
14 structure, I'm believing. Had to
15 take it down to put the structure
16 through or they put the splitter box
17 in there. I ain't --- like I said,
18 they hung a curtain back up over it.
19 I don't know --- I don't know which
20 one was first, you know, the splitter
21 box or the structure, but it was all
22 around the same time.

23 Q. When did you last see a
24 curtain hung in place of that
25 stopping?

144

01 A. The next day, I mean --- well,
02 really, just as soon as they got done
03 putting the splitter box in there,
04 they hung a curtain back up and ---.
05 That's why I'm going to get myself in
06 trouble here because I don't --- I
07 ain't real sure, you know, so ---.

08 Q. That's okay.

09 A. But it was either the
10 structure or the stopping --- or the
11 splitter box. And then when they got
12 it in there, they put a curtain back
13 up.

14 Q. Do you know if that curtain

15 was still in place at the time of the
16 fire?

17 A. I do not know. Yeah, I do
18 know. It was not there.

19 Q. It was not there?

20 A. There was no curtain there at
21 the time.

22 Q. Do you know when that curtain
23 was in place for the last time, that
24 you know of?

25 A. No. No, I do not.

145

01 Q. Were you through there on the
02 date of the 19th, in that area?

03 A. Yeah, I was --- I was right by
04 the KVA box when I put the breaker
05 back in for the wench. But the
06 majority of that day I spent probably
07 at about break --- between 20 and 30
08 on Ten headgate.

09 Q. Do you know if there was a
10 stopping inby this Number Seven belt
11 tail, to the very inby location?
12 There's one marked on this map, if
13 you notice, right inby the tail of
14 the 70 --- or the seven-inch belt ---
15 Number Seven belt, I'm sorry. Do you
16 know if this stopping was in place?

17 A. I do not believe there was a

18 stopping there.

19 Q. So that's the stopping on this
20 map located between spads 3249 and
21 3266. The two stoppings that were
22 removed, that you marked in green on
23 the map, what would be the effect on
24 the airflow in the longwall without
25 those stoppings? Do you have any

146

01 idea?

02 A. No. I never really looked at
03 a map. I always thought the double
04 doors kept the air off of it there,
05 but I don't know.

06 Q. Without those stoppings, what
07 effect would the airlock doors have
08 on the ventilation?

09 A. Without the stoppings?

10 Q. Yes.

11 A. Looking at the map, it looks
12 like it allows the air to go all the
13 way up to Two section.

14 Q. Do you know who told the
15 people to take that stopping out?

16 A. No.

17 Q. You didn't take that stopping
18 out, did you?

19 A. No.

20 Q. How did you know that there
21 was no stopping at the tail of the
22 Number Seven belt? Did you walk
23 through that area?
24 A. Yeah, I've walked through
25 there, and there's no stopping.

147

01 That's where the majority of the
02 cables come out of the red starter
03 boxes that's there and they go up
04 that break and down and go over to
05 the motors. Then the other half went
06 down through the double doors.

07 Q. Do you know who's in charge of
08 making ventilation changes at the
09 mine?

10 A. The law says the mine foreman.
11 I'm going to assume that's who does.

12 Q. He doesn't actually make the
13 changes, he directs the changes?

14 A. Yeah. Yeah, I don't know who
15 would actually make changes on
16 ventilation.

17 Q. Have you ever asked to have a
18 fluke meter in your possession at all
19 times?

20 A. The oscilloscope?

21 Q. Yes.

22 A. Yeah, I've asked for one.

23 Supposedly, they're in the process of
24 getting them. If you've talked to
25 anybody there, sometimes our

148

01 purchasing ain't the best in the
02 world.

03 Q. When did you ask for one; do
04 you remember?

05 A. No, I don't remember. I've
06 asked two or three times, but I don't
07 remember when.

08 Q. Who did you ask?

09 A. I've asked Robert and Peanut
10 Sabo (phonetic), the purchasing
11 agent.

12 Q. Who's Robert?

13 A. Ellis, the superintendent of
14 maintenance.

15 Q. Robert Ellis. And what was
16 his response to you when you asked
17 for one?

18 A. I'll get you one. Like I
19 said, he's got one. And usually if I
20 needed one, he'd bring his.

21 Q. He uses his personal one, you
22 say?

23 A. Yes.

24 Q. It doesn't belong to the

25 company?

149

01 A. No, it's his personal ---.

02 Q. And somebody had one who

03 retired you said?

04 A. He left and went to work

05 somewhere else.

06 Q. When did he leave?

07 A. It's been a while ago. I
08 ain't for sure. That's been years.

09 Q. I understand he said it was
10 his, but ---?

11 A. Oh, yeah, it was the mine's,
12 but he took it.

13 Q. That happens when somebody
14 retires sometimes.

15 A. Yeah. They're expensive.
16 They're real expensive.

17 Q. You've walked the mine a lot.

18 Are you familiar with the escapeways
19 in the mine?

20 A. Pretty much.

21 Q. Have you been trained on the
22 escapeways?

23 A. When you say trained, do I
24 know how to get out? Yeah, I know
25 how to get out.

150

01 Q. Do you have drills that you

02 participated in last year?

03 A. Have I ever participated in
04 any drill?

05 Q. In the last year.

06 A. No.

07 Q. Do you know if you're required
08 to?

09 A. No.

10 Q. How do you distinguish between
11 the two escapeways?

12 A. There's the reflectors, green
13 reflectors.

14 Q. What's your primary escapeway
15 designated as?

16 A. Green. Secondary is yellow.

17 Q. Do you know if there were any
18 green reflectors in the travelway
19 between the airlock doors?

20 A. I can't say. I don't --- I
21 honestly don't know.

22 Q. Do you normally walk through
23 that door? Probably not since you're
24 walking.

25 A. I walk through it, but like I

01 told you, I'm not the most observant.
02 If I don't have to observe something,
03 I'm most of the time thinking.

04 Q. I'm sure you have a lot on
05 your mind.

06 A. When did you last make the
07 examination of the fire suppression
08 at the mother drive?

09 A. I don't.

10 Q. Do you know who does that?

11 A. That would be Mark Keezer
12 (phonetic). He's a longwall
13 maintenance guy.

14 Q. Mark Keezer?

15 A. Keezer, Jr. We got two Mark
16 Keezers at the mines, his dad and
17 him. He's an electrician.

18 Q. Okay. Thank you. Can you
19 recall any problems with the
20 suppression systems that you've
21 checked?

22 A. No. They're hard to --- those
23 right there, the ones we used,
24 they're really fail-proof. I mean,
25 as long as you got water in your line

152

01 and you don't have any leaks, there's
02 no problem with them.

03 Q. I think we asked before about
04 who can install phones, and you
05 indicated that just about anybody
06 could; ---

07 A. Yes.

08 Q. --- is that right? Have you
09 had any problems with communications
10 failures because of that?

11 A. Yeah. They'll nick my line
12 occasionally and I'll have to find
13 it.

14 Q. How about on the phone system
15 itself? Does somebody lose a phone
16 because somebody screwed up, splicing
17 their line?

18 A. They usually don't --- I mean,
19 we've had instances where, yeah,
20 there's been --- say, they've cut
21 into them or they took a phone loose
22 and shorted the line out or
23 something, and you'll lose phones for
24 --- usually it don't take long to fix
25 that. Those are pretty easy to find.

153

01 Q. Do you examine the 72-inch
02 belt where it travels over the
03 overcasts on Number Seven belt?

04 A. No.

05 Q. Do you examine any of the
06 belts that travel over overcasts?

07 A. No. The only ones I examine
08 are on the Rum Creek side. That's

09 where I fire boss, if I do fire boss.

10 Q. Do you think that

11 communication errors cause any sense

12 of complacency on the part of the

13 dispatchers because of the number of

14 communication errors that they may

15 get?

16 A. It don't on --- I mean, we

17 don't have many at all. I mean, it's

18 rare, in a blue moon, that you'll get

19 a communication error that will

20 actually show a fire or something

21 like that. So I'm going to say no

22 because the other ones are ---

23 they're just like, say, the data loss

24 or parity error or something, and

25 those are usually pretty quick. But

154

01 again, I can't speak for the

02 dispatchers, you know.

03 Q. Do you have phones in the belt

04 lines?

05 A. Yeah.

06 Q. And how often do you have

07 those installed?

08 A. You're talking about along the

09 belt line?

10 Q. Along the belt line.

11 A. There's a few places, not

12 --- we got phones at like splitter
13 boxes at the heads. There's usually
14 three located at every head. There's
15 one at the tailpiece, the starter box
16 and the wench box. And then
17 sometimes, like I say, where anybody
18 puts a phone in, if they want one
19 halfway up the belt line or wherever
20 they want to put one, they'll stick
21 one in.

22 Q. Do you know if the belt
23 regulations require installation of
24 telephones on any regular basis?

25 A. I do not know.

155

01 Q. When you walk through the area
02 of the tail roller, the six-foot
03 belt, what were you doing when you
04 walked through there; do you
05 remember?

06 A. The tail roller?

07 Q. The tail roller of the
08 six-foot belt, 72-inch belt, Number
09 Seven belt.

10 A. Probably just walking. I
11 walked --- a lot of times when I did
12 walk, it seemed like it was a lot
13 easier to walk where the 72-inch belt

14 was going to go down. That was the
15 easiest way to walk.

16 Q. There was no specific purpose
17 you traveled through there, though?

18 A. No.

19 Q. Do you think you need to be a
20 certified electrical person to
21 install phones?

22 A. Not really, as long as you
23 watch, you know, what you're doing,
24 don't cut into anything. You know,
25 there's nothing on that cable that

156

01 would hurt anybody, you know. You're
02 not going to get electrocuted.
03 You're not even going to get a shock
04 or anything. There's nothing on that
05 line that I would be scared to touch
06 my tongue to, I mean.

07 Q. Twenty-four (24) volts is the
08 most you have on that line?

09 A. Yeah, and you can't feel it.
10 I mean, like I say, I'd stick my
11 tongue to it.

12 Q. You talked about the alarm on
13 the longwall sections before. You
14 have an alarm indicated on the
15 headgate, which you have two sensors
16 that would indicate an alarm; is that

17 right?

18 A. Yeah.

19 Q. Which sensors are programmed
20 to provide that automatic alarm?

21 A. Eighty-one (81), 82, 83 and
22 88.

23 Q. So it's just the sensors that
24 are installed on the longwall belt
25 itself?

157

01 A. Yes.

02 Q. Do you know if the law
03 requires any other sensors to
04 automatically activate that alarm?

05 A. I was under the impression
06 that was the only one. I don't know.

07 Q. Why only two consecutive
08 sensors? Is there some reason for
09 that?

10 A. It's two sensors --- I
11 probably said consecutive, but it's
12 two sensors along the belt line, just
13 any two. I don't --- that's --- I
14 don't know why. That's just the way,
15 I guess, the program works.

16 Q. Is that from Pyott-Boone?

17 A. Yeah, it's from Pyott-Boone.

18 Q. They program it that way?

19 A. Uh-huh (yes). Yes.
20 Q. Who do you deal with at
21 Pyott-Boone if you do contact them?
22 Is there anyone in particular?
23 A. No.
24 Q. Do you do most of the contact
25 with them when there is discussions

158

01 on a system?
02 A. No, but I haven't --- I
03 haven't contacted them in a while.
04 Q. If you do have an automatic
05 activation of that longwall alarm, is
06 that on a printout anywhere?
07 A. Yeah, it should be,
08 definitely.
09 Q. Do you know what it would be
10 indicated as?
11 A. No, I don't. Probably ---
12 they're on there. I mean, if 102 is
13 the CO number that would alarm, it
14 would probably show up as that one,
15 if that's what activates that CO
16 right there. It's built --- you
17 know, it ties into the alarm.
18 Q. I'm trying to find that
19 printout for the 19th. Do you see
20 anywhere on there that the longwall
21 alarm is shown to have activated?

22 A. No, but I don't believe it
23 would. I mean, from everything that
24 I've heard people say, the air was
25 coming back up the belt. So you're

159

01 going to blow past your 83 sensor.

02 It's going to stay clear, and 81
03 would --- or 82, I'm sorry, would
04 have went off.

05 Q. So if we had just the two
06 sensors, 81 and 82 went into alarm,
07 ---?

08 A. I would have to go back and
09 look. I might have said 81. Maybe
10 81 wasn't on there. Maybe it was 82.
11 Maybe it was down one because 81 was
12 on the tailpiece of Seven belt, so I
13 don't know if it was on there or not.

14 Q. Okay.

15 A. But you know, if it was doing
16 what everyone says it was, 83 would
17 have never alarmed. Eventually it
18 probably would have, after it got so
19 smoky up there, but not with fresh
20 air blowing past it.

21 Q. So you're saying it's possible
22 we could have had those, both of
23 those sensors, in alarm and not had

24 the longwall alarm go off because of
25 the way it's programmed?

160

01 A. Yes, it's possible. I ain't
02 sure if 81 was programmed in or not.
03 I can go back and look. Maybe I got
04 some records laying around the house
05 that I keep to see if I put it in
06 there or what it was.

07 Q. You have some records you keep
08 at home?

09 A. Just my little notebook that
10 I, you know --- maybe --- I don't
11 even know if I did. You know, like
12 today I put 80, 81, 82 in the
13 computer. I don't know. I'd have to
14 look to see if I actually got
15 anything that, you know, ---.

16 Q. Before you said that if there
17 was programming changes, Pyott-Boone
18 would have to come in and help you
19 with those. These changes you're
20 talking about on programming sensors
21 and alarms, you can do that?

22 A. Yeah, this is different.
23 Yeah. This is --- what it is is an
24 alarm --- and it's not really a
25 program. It's a module, just like a

161

01 CO that you put on there. And when
02 you put the alarm on there, then you
03 go inside of that alarm and you ask
04 --- it asks you what do you want ---
05 what COs do you want to activate this
06 alarm. And you put 80, 81, 82,
07 whatever, you know.

08 Q. So we could check that from
09 the surface?

10 A. Yeah.

11 Q. That hasn't been changed since
12 the time of the fire?

13 A. Yeah. I changed a lot of it
14 yesterday.

15 Q. Oh, you did?

16 A. Yeah.

17 Q. What changes did you make?

18 A. I accidentally erased my map.

19 Q. Oh, you did?

20 A. Yeah, when I was putting the
21 airflow directions on there. So I
22 put it back on there.

23 Q. Did you change any of the
24 programming of the alarm?

25 A. The alarm erased. I put it

162

01 back on there. I don't --- we can
02 look and see. I mean, I don't know

03 what changed, if it did change. It
04 may not have did anything.

05 Q. Okay. What other type of
06 records do you put in your notebook?

07 A. Just what I do for the day,
08 just my own little personal things.
09 But I don't keep it regularly. But
10 since this happened, I have. If you
11 say hi to me underground, I'm going
12 to write your name down.

13 Q. Oh, really?

14 A. Oh, yeah.

15 Q. Is there a chance we could get
16 a copy of that from you?

17 A. If I can find it, I'd be more
18 than happy to give it to you.

19 Q. Okay. The escapeway map on
20 the surface, are you familiar with
21 that?

22 A. I've seen maps on the surface.
23 Don't pay any attention to them.

24 Q. Do you know where they're
25 located?

163

01 A. There's a map in Pepe's
02 office, and then there was a map in
03 the dispatcher's office, but I
04 believe it was --- it had the Three
05 section in the wrong place. It was

06 the first projection for it.

07 Q. If there was a change to the
08 escapeway, how would you know if you
09 didn't pay attention to those maps?

10 A. Word of mouth. I don't go in
11 every day and look at maps. I mean,
12 that's just not something I'm in the
13 habit of doing. I don't know ---
14 should I be?

15 Q. If there would be a change in
16 the escapeways, would somebody notify
17 the miners?

18 A. Oh, yeah, I'm sure they would.
19 We have safety meetings every Monday,
20 I mean, and I'm sure they'd have one
21 --- if they changed anything, they
22 would tell you.

23 Q. Do you know, has that happened
24 in the past?

25 A. Not that I'm aware of.

164

01 Q. The Allen-Bradley system, you
02 say it does not record any data?

03 A. It's a monitor only system,
04 just to start and stop the belts and
05 tell you what's wrong with them, if
06 the gob switch is off or whatever.

07 Q. Are there any records made of

08 the information that comes across
09 that system by the dispatchers?

10 A. Uh-uh (no).

11 Q. So if a belt would go down,
12 they would just know it went down?
13 Somebody called, they would tell
14 them?

15 A. Yeah, they'd say what belts
16 are off, and you can look on there
17 and say well, Three belt is off on
18 the tail switch, you know, and you
19 get ahold of the beltman. He'd go
20 down there and get a rock out of the
21 rock box, whatever needs to be done.

22 Q. Would those instances show up
23 on the records that are transmitted
24 from the headgate operator to the
25 dispatcher on the two-hour reports?

165

01 A. Oh, yeah. Yeah.

02 Q. So they would mark on there
03 when ---

04 A. Yeah, what belt is down.

05 Q. --- the 72 belts went down?

06 A. Yeah.

07 Q. Going back to that escapeway
08 map, is there an area at the mine
09 where men usually congregate before
10 they go underground?

11 A. Yeah. Where everybody sits or
12 congregates is as soon as you walk
13 out of the bathhouse there's some ---
14 there's a table and some chairs or
15 benches, and everybody sits right
16 there.

17 Q. Is there a map in that area at
18 all, that you know of, marking the
19 escapeways?

20 A. They're used to be one on the
21 table with a piece of Plexiglas over
22 it. I don't know if that's still
23 there or not. I ain't paid
24 attention. It used to be right
25 there.

166

01 Q. And that had escapeways marked
02 on it?

03 A. It was a map. I'm assuming,
04 it had red and green lines.

05 Q. What would the red lines
06 indicate?

07 A. Or yellow and green, I'm
08 sorry.

09 Q. Oh, yellow and green?

10 A. Yes, yellow and green.

11 Q. Okay.

12 A. I assume that would be ---.

13 Q. And what do they indicate?

14 A. I would say primary and

15 secondary escapeways. But I don't

16 know how old the map was or, you

17 know, if it's still even there.

18 Again, I'll go back to the observant

19 point.

20 Q. That's okay. On the longwall

21 tailgate being blocked, what exactly

22 was blocking the tailgate to travel;

23 do you know?

24 A. What I come to is maybe the

25 tail entry wasn't drove as straight

167

01 as it should. Sometimes I don't know

02 if they see it. And then when it cut

03 out, it don't cut all the way out and

04 then it falls open or something.

05 Q. They didn't tell you what was

06 blocking the ---?

07 A. No. I mean, it was just

08 blocked for a matter of just, I

09 guess, minutes, really. Because they

10 never said that it was blocked. I

11 mean, you know, they said it blocked,

12 then it came open, so we don't need

13 one, but we need to get one up there

14 in case it does get blocked.

15 Q. Are you familiar with the

16 alpha reports, the two-hour reports,
17 that come in ---

18 A. Uh-huh (yes).

19 Q. --- to the dispatcher? Do
20 they record what time the belts went
21 down on those?

22 A. Oh, yeah. Yeah, religiously.
23 Trust me.

24 Q. And that time, does it pretty
25 much match up with the dispatcher's

168

01 time?

02 A. Uh-huh (yes). Well, the
03 dispatcher gets it. That's how the
04 dispatcher gets it. He don't say,
05 okay, three blocks off, write it
06 down. He just --- the longwall would
07 call. I'd say, what's wrong with the
08 belts. And he'll say, 83, there's
09 somebody on their way. And then when
10 they get running again, they'll
11 holler out and say, okay, we're
12 running. And then a lot of time, the
13 foreman up there marks down what time
14 the belt went off and what time they
15 started running. And if that's a 15
16 or 20-minute time, then he'll say,
17 all right, 15 minutes down on Three

18 belt.

19 Q. So we won't know what time the
20 belt was shut off. We would know the
21 extent of the time that it was shut
22 off, is that what you're telling us?

23 A. You would know. Yeah, you'd
24 know when it shut off. Whenever
25 their belt quits, they'll write it

169

01 down.

02 Q. Okay. If we can go back to
03 the 29th, on Exhibit D, that's the
04 day that we had a fire out on the
05 north mains belt and smoke traveled
06 inby?

07 A. Uh-huh (yes).

08 Q. I believe it starts on page
09 ten. I know you don't have a map
10 that shows all the sensors on it, but
11 could you kind of take us through
12 from what you know, where those
13 sensors are on the belts, where the
14 smoke traveled during that fire?

15 A. Okay. It started out --- 94
16 is at the tailpiece of Five belt.

17 Q. Could you come up to the map
18 and mark this one for us? That might
19 be a little easier for you. We'll
20 use a red pen. If you can mark

21 approximately, if you can --- maybe

22 it's too far south on this map.

23 A. We will have the ---.

24 Q. First sensor?

25 A. And this down here somewhere.

170

01 Q. We'll assume that the CO

02 sensor that first went into alarm is

03 south of the map. And what would you

04 say would be the direction of airflow

05 and smoke from that location?

06 A. North.

07 Q. So we'll just mark, if you

08 would, a small circle off the actual

09 map to show ---.

10 A. There's two of them there.

11 Q. Okay. So we have two sensors

12 that are off this map. If you can go

13 from there?

14 A. The next one was 50, and that

15 was, that's the one at the motors at

16 Six head. And it's also off the map.

17 And 51, which would be --- 53 would

18 be there, at the end of the Six belt

19 head. And 80 is somewhere from

20 there. It's around the motors on the

21 Seven belt.

22 Q. On Number Seven belt?

23 A. Uh-huh (yes). Eighty-one (81)
24 is right here.

25 Q. Do you have them marked

171

01 already? Did 82 get an alarm on
02 there, do you see?

03 A. Not that I'm seeing here.

04 Q. How about 83, which is inby
05 both of those sensors?

06 A. No.

07 Q. Were there any sensors on the
08 48-inch belt that had CO on the fire?

09 A. The 48-inch belt?

10 Q. Yes. I think 71 is the first
11 sensor inby the drive, Number One
12 belt.

13 A. No, not that I see in here.

14 Q. Do you know if there's a
15 sensor inby the tail of Number Six
16 belt?

17 A. Inby the tail? Yeah, that
18 would be 53. It's actually the
19 tailpiece.

20 Q. Okay. Can you draw that where
21 it would actually be?

22 A. Yeah.

23 Q. Thank you. Do you also have
24 sensing where this transfer air is
25 between Number Six and Seven belt?

01 A. Yeah. There's one right here.
02 That's what I'm looking at here. It
03 looks like they had it turned off
04 because they turned it back on right
05 there. It went dead. I don't know
06 why they did that because the belt
07 went off. Yes, at 52.

08 Q. And do you have any other
09 sensors in this drive area of the
10 Number One belt?

11 A. Yeah. There's a CO at 70.

12 Q. This is exact here or Number
13 One belt up here on the 48-inch?

14 A. I'm off; ain't I? Fifty-two
15 (52) would be here and 70 would be
16 here.

17 Q. Do we get alarms in either one
18 of those sensors?

19 A. No, not on 70. Not on 52,
20 that I seen.

21 Q. Do you have any idea why the
22 sensors reacted that way?

23 A. It was all the smoke was going
24 up the belts. It just hadn't
25 filtered over because that's --- it

01 should have, but I don't know why. I

02 can speculate. Fifty-two (52), looks
03 like they had it turned off. I don't
04 know why they would have. Like I
05 say, I wasn't there that week. I was
06 off for about 14 days in that period.

07 Q. What about sensor number 82 on
08 that fire, with the airflow
09 directions you indicated, would you
10 expect that one to also have alarmed?

11 A. Yeah, I would expect it. But
12 without these stoppings, I don't know
13 if I would.

14 Q. Which stoppings are those?

15 A. Going to the east and west of
16 spad 3266.

17 Q. Thank you. Thanks, Jesse.

18 Did you ever receive specialized
19 training from Pyott-Boone on the CO
20 system?

21 A. No.

22 Q. Did you receive training from
23 anyone?

24 A. No.

25 Q. Is this all kind of

174

01 self-taught?

02 A. Yeah.

03 Q. You learned basically from the
04 operating manuals, from the ---?

05 A. Yeah, from the operating
06 manuals and the guy who took the
07 oscilloscope. Occasionally I'd see
08 him and just kind of picked up a
09 little bit of what he was doing.

10 Q. Did you work with him for a
11 period of time?

12 A. Occasionally.

13 Q. Was that considered training
14 by the company; do you think?

15 A. No.

16 Q. Since the fire on January
17 19th, have you been instructed to
18 install or maintain sensors in new
19 locations or in new ways?

20 A. No. Just the only thing that
21 I've been instructed to do is put the
22 --- from Rum Creek to Three section
23 back on line so they can run the
24 belts.

25 Q. Who is Chad Neal?

175

01 A. Chad Neal is a longwall
02 electrician. I think he does more
03 setup for them, setup electrician.

04 Q. I have a clarifying question
05 on the calibration of the CO sensors.
06 Could you take us through

07 step-by-step just to make it clear
08 for us how you calibrate a sensor?
09 A. Yeah. When you come up to a
10 sensor, you push the calibration
11 button, and it will flash three
12 times. It will say air. You put
13 your air --- your container that
14 contains zero air, put it on there
15 and turn it on, it should stay zero.
16 If it don't, you zero it in, take it
17 off and you put your --- hit next and
18 it will go next and then it will say
19 gas. And you put your gas on there,
20 and it should go to 25 parts, 50
21 parts, whatever you're using. And if
22 it goes to --- if it don't, then you
23 run it up or run it down until you
24 get to your desired 25 parts per
25 million on it.

176

01 Q. And then after that you ---?

02 A. Then you hit end and it turns
03 off and goes down.

04 Q. When people are going to do
05 any maintenance on third shift like
06 cutting, using the torches out
07 wherever they're using them, do they
08 notify the dispatcher that they're
09 going to do that work?

10 A. No. No.

11 Q. There's no requirement for
12 them to do that?

13 A. No. That's why I said Mike,
14 he's usually stuck with that. He
15 usually hollers down and sees if
16 anything is going on.

17 Q. Are people required to let the
18 dispatcher know where they're
19 traveling in the mine when they're
20 going underground?

21 A. They do. I don't know if
22 they're required to. But I guess
23 everybody got in the habit, when we
24 had rail, to holler for the road, so
25 ---. We don't have rail anymore,

177

01 so ---.

02 Q. The fire that Karl White and
03 Junior Robinson --- or Robertson
04 extinguished, would you consider that
05 to be a hazard?

06 A. A fire? Any fire, I guess,
07 could be a hazard. I mean, ---.

08 Q. Would that be something that
09 would be required to be recorded in
10 some kind of a record book?

11 A. As far as I know, they did

12 record it in their logbook. I don't
13 know --- I mean, I don't know nothing
14 about that fire. I just know they
15 had a fire and that's really about
16 it. Them two went down there and put
17 it out. Like I said, I was gone all
18 that week.

19 Q. There was a violation written
20 by the State of West Virginia on
21 inadequate air quantity on the
22 longwall face prior to the fire. Do
23 you know anything about that?

24 A. Uh-uh (no). No, I don't know
25 anything about that.

178

01 Q. Do you know what the purpose
02 of those airlock doors are at the
03 headgate area on the travelway?

04 A. I figured it was to deflect
05 air where it couldn't go up that way
06 and it would go down the longwall
07 belt.

08 Q. Once you go through those
09 doors, do you know if you're in the
10 belt or intake?

11 A. As soon as you go through
12 those doors, you're not in the belt,
13 you're in the entry beside the belt.
14 And I always thought all that was

15 intake up through there, every bit of
16 it, except for One return.

17 Q. Are you familiar with the
18 ventilation plan at all at the mine?

19 A. I'm familiar. I mean, I --- I
20 guess as good as I can be.

21 Q. Do you know whether or not air
22 from the 72-inch belt, Number Seven
23 belt, is allowed to be used on the
24 Number Two section to ventilate it?

25 A. From the 72-inch belt? I'm

179

01 going to assume it is. I mean,
02 that's why we got the CO sensors
03 every thousand feet, and they use
04 belt air in the face. I mean, that's
05 what they say, they use belt air in
06 the face.

07 Q. Do you know if it's allowed to
08 be used as part of the primary
09 escapeway?

10 A. I don't know.

11 Q. Do you think that the tailgate
12 being blocked would affect the
13 direction of the airflow on that belt
14 on the longwall?

15 A. It probably could. I mean,
16 that would block your return, I

17 reckon. That would significantly
18 shut down on how much pull you're
19 going to have, I would assume. I
20 mean, I'm not a longwall person.

21 Q. Did Inspector Justice ever
22 indicate to you that he needed an
23 alarm on Number Two section?

24 A. No.

25 Q. Did anybody from the company

180

01 ever suggest that you needed one?

02 A. No.

03 Q. Do you think you need one
04 there?

05 A. I do now.

06 Q. Why? Why do you think now?

07 A. Well, they said I do now.

08 Q. Who said that?

09 A. I believe Robert told me to
10 put one up there when everything gets
11 back up and running.

12 Q. Robert is?

13 A. The superintendent of
14 maintenance.

15 Q. Last name? Robert Ellis?

16 A. Yes.

17 Q. Do you know who trains miners
18 on the basic operation of the AMS
19 system?

20 A. No.
21 Q. Do you train anybody on how
22 the system works?
23 A. No.
24 Q. Anybody ever ask you what the
25 system is and how it works?

181

01 A. No.
02 Q. Do you have any formal
03 training at all on the CO system?

04 A. No formal training.

05 MR. FRANCCART:

06 Do you have some more,

07 Bill?

08 MR. TUCKER:

09 Yes.

10 BY MR. TUCKER:

11 Q. Do you know who the mine
12 foreman is at the mine?

13 A. Dusty Dotson.

14 Q. Now, you mentioned you had
15 fire bossed --- mainly when you do
16 that, it's on the Rum Creek belts.
17 Have you ever had to fire boss a
18 working section or idle section?

19 A. No.

20 Q. You marked on the map a couple
21 stoppings that were in the area of

22 the mother drive at the double doors
23 and at the tailpiece of the Number
24 Steven belt. Did you happen to be
25 there the day either of those were

182

01 knocked?

02 A. I was there. When I went by
03 there, they was up that morning.

04 When I came back, they was gone.

05 Q. So you had went on inby while
06 that work was actually being
07 performed?

08 A. Yeah. Yeah.

09 Q. Where did you go?

10 A. I don't remember exactly what
11 I was doing or --- I remember being
12 around the area.

13 Q. Do you know who the foreman
14 was on that particular work that was
15 being done when those were knocked?

16 A. Probably Chris Herndon.

17 Q. Have you ever seen like a mine
18 foreman or a foreman walk through
19 that area from the tailpiece on up
20 around the power centers?

21 A. I've talked to people up in
22 there, mine foremens and whatnot.
23 You know, I've talked to Terry Shadd
24 at the double doors, and Dusty has

25 drove by. I haven't seen him walking

183

01 up through there. I haven't ever

02 talked to him.

03 Q. While you were working in that

04 area. Have you worked there very

05 often? You mention that that bunch

06 is pretty rough on equipment and you

07 have to repair it. Have you worked

08 in that particular area at the

09 tailpiece at the 107 belt ---?

10 A. Once I set the mother drive,

11 it becomes part of a longwall. They

12 do all the inspections and checks and

13 upkeep of it, really.

14 Q. Like when the construction

15 crew is down there working, say,

16 putting in --- extending the belt on

17 up through there if they have a scoop

18 or whatever and it tears up, do you

19 go fix it or ---?

20 A. Yeah. Yeah. I will.

21 Q. That was my question, if you

22 worked in that area very much during

23 the construction or ---?

24 A. No, not that area. What they

25 did, they put the structure up to

184

01 that stopping and then they just ---
02 for a long time they left it --- they
03 put the structure all the way up.
04 And then I guess when they was going
05 to put the splitter or they was going
06 to extend the construction on through
07 is when they actually knocked that
08 stopping.

09 Q. Right. If you were going to
10 make a calculated guess on when that
11 stopping was knocked, what time frame
12 would you put that in?

13 A. It's purely a guess, I mean.

14 Q. Right.

15 A. November.

16 Q. Okay. Then we're talking
17 about the stopping inby the tailpiece
18 ---

19 A. Yes.

20 Q. --- of the Number Seven belt?

21 A. Yes.

22 Q. Do you receive like a work
23 printout each day on your --- and
24 then have to turn it back in to the
25 foreman at the end of the shift

185

01 or ---?

02 A. No. We are right now, just
03 because we're down. But like I say,

04 the mine changes so much, I'm just
05 Mr. Fix-It on-the-spot kind of ---.

06 Q. Right. So prior to the
07 January --- or the 19th, you didn't
08 --- you basically got your work
09 orders by word of mouth?

10 A. Word of mouth, yeah.

11 Q. Okay. Do you do any weekly
12 examinations of belt boxes, ---

13 A. Yeah.

14 Q. --- KVA boxes?

15 A. Yeah.

16 Q. And where do you keep those
17 records on your weekly checks?

18 A. In the 72 and four-foot belt
19 book, electrical book.

20 Q. Electrical book, okay. You
21 mentioned you've been in the area of
22 the fire on the Number Five belt?

23 A. Uh-huh (yes).

24 Q. Do you think that fire should
25 have activated the fire suppression

186

01 system?

02 A. No. That was way far away
03 from the fire suppression system.

04 Q. Okay.

05 A. The sprinkler-type system

06 would actually --- you know, you have
07 to get 150 degrees and melt that stem
08 out in order for it to go off.

09 Q. Okay. Were you aware the
10 longwall lost communications on the
11 19th, the date of the fire?

12 A. No.

13 Q. Do you know what they used to
14 knock the stoppings out that you've
15 indicated on the map were knocked?

16 A. I believe the scoop.

17 Q. Scoop. Where would they get
18 that scoop from?

19 A. I don't know. If it's a
20 construction crew, they got their own
21 scoops.

22 Q. They usually keep one with
23 them?

24 A. Yeah.

25 Q. Do you know who usually runs a

187

01 scoop or is it different people
02 or ---?

03 A. Different people.

04 Q. Nobody in particular that runs
05 it more than others?

06 A. No.

07 Q. I believe you may have already
08 clarified this, but just for my

09 memory, the breaker that you put back
10 in on the 19th where they had had
11 trouble with it knocking, exactly
12 what breaker was that?

13 A. It's the wench breaker.

14 Q. For the mother drive?

15 A. Uh-huh (yes).

16 Q. I know you've had a good bit
17 of discussion on calibrating the
18 sensors, but when you calibrate the
19 CO sensor, do you leave the gas on
20 the sensor long enough for the
21 computer to scan the sensor?

22 A. I assume.

23 Q. Basically once it reaches ---
24 say, if you're using the 25 parts per
25 million, once it reaches that, ---

188

01 A. Yeah, I take it off ---.

02 Q. --- as soon as it hits 25, you
03 take it off and hit enter?

04 A. Yeah.

05 Q. Okay.

06 A. And it's got that two minutes
07 where it don't --- I guess it don't
08 scan so it won't alarm outside until
09 it goes back to zero.

10 Q. Right, until it bleeds back

11 off. Okay. Should a CO sensor
12 indicate an alarm only once or twice
13 or should it continue to show alarm
14 as long as CO is present?

15 A. I ain't sure. I think it will
16 just alarm that one time, unless ---
17 so it was to go up and then go back
18 down and then go back into alarm mode
19 again, it would just alarm the one
20 time and stay in the alarm mode.

21 Q. Would communication problems
22 affect the sensor in the alarm mode?

23 A. It should not. I mean, it
24 might say alarm and then you might go
25 dead, but as soon as it came back on,

189

01 it should show alarm again.

02 Q. Pick right back up?

03 A. Yeah.

04 Q. Do you install the storage
05 units?

06 A. No. That would be Don Haggie
07 and Chris Herndon that installs the
08 storage units.

09 Q. So you don't participate in
10 belt setup?

11 A. No. I'm just --- really just
12 the wiring person.

13 Q. Are you familiar with the

14 dropoff trip levers?

15 A. I'm familiar with them.

16 Q. Would you know if they would
17 normally be in working order when the
18 unit is installed?

19 A. Should be. They should be in
20 working order.

21 Q. Are you aware of any problems
22 at all with the longwall mother belt
23 storage unit?

24 A. I've --- like I say, I've
25 heard that it's --- the dolly has

190

01 actually cocked one time before, and
02 it threw the belt over and it smoked
03 a little bit. And they pulled it
04 back, and it straightened up. But
05 other than that, that's the only
06 problems I am remotely aware of.

07 Q. On the 19th --- I know you
08 went to reset a breaker, had you
09 heard any discussion at all about the
10 belt running out of alignment on the
11 dayshift?

12 A. On that day?

13 Q. On the 19th.

14 A. No, sir.

15 Q. Okay.

16 MR. TUCKER:

17 That's all I have at

18 this time.

19 BY MR. FRANCAERT:

20 Q. We'll try to get through these

21 as quick as we can, Jesse. I know

22 some of these are clarifying

23 questions, so please bear with us on

24 these. Who would normally examine

25 the area from the mother belt head

191

01 drive down the 72-inch belt and in

02 the construction area? Do you know

03 who would do that?

04 A. Different people. I mean,

05 whoever was the beltman at the time.

06 If the beltman is a certified fire

07 boss, probably him. If he's just a

08 belt man, then it would be Terry

09 Shadd or maybe Shiner, Haggie, Don

10 Haggie, any of those guys would do

11 it.

12 Q. How would the Number Two

13 section be notified of an alarm?

14 A. The dispatcher.

15 Q. And how would he do that?

16 A. Either he'd shut the belt off

17 or he would holler at them on the

18 phone. They got a light that's if

19 you push 002, I believe it sets an
20 alarm off up on the miner section, so
21 it's only going to flash.

22 Q. Are you familiar with the
23 overcasts up at the 72-inch belt?

24 A. I've seen them, yeah.

25 Q. Do you know where the doors

192

01 are installed on those overcasts?

02 A. The doors ---?

03 Q. Man doors.

04 A. Yeah. If you're going up 72
05 belt, you have one right behind the
06 head drive itself, and then where the
07 rides and stuff pass by, those two
08 man doors, yeah.

09 Q. Are those doors normally left
10 closed?

11 A. Yeah. Yeah, those are usually
12 closed. I know we found them cracked
13 before. You know, like Terry Shadd
14 was up there with me one day we found
15 just a little bit cracked, and he
16 kind of got irate over that.

17 Q. Do you know which way they
18 open?

19 A. I'm thinking they actually
20 open with the flow of air.

21 Q. Can you tell us what the exact
22 location of a breaker for the takeover
23 is that you repaired that day for the
24 fire?

25 A. I didn't do any repairs on it.

193

01 I just set it up. It's a --- if you
02 look at the white KVA box, it's the
03 breaker to the --- there's two.
04 There's a spare and there's that one.
05 I ain't sure it's --- it's the only
06 two round ones on the box. They're
07 round. And that's just to the far
08 left of the one directly beside of
09 that one.

10 Q. As far as the programming of
11 the sensors, is there somebody that
12 makes the decision on which sensors
13 automatically activate the alarms on
14 the sections?

15 A. Like I said, I just put the
16 ones that was going down the mother
17 drive belt.

18 Q. So it was your decision to do
19 that?

20 A. Yes. I assumed that was what
21 they wanted. I don't know any law or
22 anything on that.

23 Q. We're going to have to ask you

24 to come up and mark on the other map
25 here again a couple things just so we

194

01 have it on the record, if you don't
02 mind. Sorry I didn't have you do
03 this before. Could you just label
04 the stoppings which you indicated
05 were taken out?

06 WITNESS COMPLIES

07 BY MR. FRANCAERT:

08 Q. And this stopping that we
09 indicated before between these two
10 spads you indicated was not there,
11 was that not there or was it taken
12 out?

13 A. I've never seen one there.

14 Q. What else do we have to label
15 on here? Is there something else you
16 wanted --- okay. One thing we do
17 need is for you to sign this, your
18 name and date it, please, February
19 28th.

20 WITNESS COMPLIES

21 BY MR. FRANCAERT:

22 Q. On the overcast and the two
23 doors that we talked about, could you
24 mark that one on here also?

25 WITNESS COMPLIES

01 BY MR. FRANCCART:

02 Q. And could you mark for us,
03 just for the record, the air
04 direction on the 48-inch belt on up
05 to the Number Two section?

06 WITNESS COMPLIES

07 MR. FRANCCART:

08 Go ahead, Bill.

09 BY MR. TUCKER:

10 Q. I just got a couple more for
11 you. On the 19th, when you went and
12 reset the breaker, was there anybody
13 else working in that area? Did you
14 notice anybody else at all?

15 A. I believe Karl White was up
16 there.

17 Q. Karl White? Did you notice if
18 that curtain was hung across the
19 entry inby the tailpiece on the
20 72-inch belt?

21 A. At the --- the one where the
22 stopping was?

23 Q. Yes.

24 A. Yeah, there was no curtain
25 there.

01 Q. There was no curtain on the
02 19th?

03 A. No.

04 Q. Okay.

05 MR. FRANCCART:

06 If you don't mind,

07 Jesse, we need to take about a

08 five-minute break and then

09 we'll come right back. Okay?

10 A. That's fine.

11 SHORT BREAK TAKEN

12 BY MR. FRANCCART:

13 Q. Jesse, how often did you

14 travel down through the 72-inch belt

15 to travel inby on northeast mains?

16 A. I traveled at least a couple

17 times a week, just whatever ---

18 whichever way I was going, if there

19 was something up the section that

20 needed done or something up at the

21 Ten headgate that needed done. Just

22 whenever there was something that

23 needed done up that way.

24 Q. Okay. Can we ask you to come

25 up to the map just one more time?

197

01 ATTORNEY BARISH:

02 Hopefully.

03 MR. FRANCCART:

04 Hopefully, yeah.

05 Thanks, Dan.

06 BY MR. FRANCCART:

07 Q. You mentioned before that
08 there was a curtain that was
09 installed after a stopping was
10 removed?

11 A. Uh-huh (yes).

12 Q. Can you mark on here in black
13 which curtain that would have been?

14 WITNESS COMPLIES

15 BY MR. FRANCCART:

16 Q. And that's to the east side of
17 the 3266 spad? Thank you. One last
18 thing on the map then. Just to be
19 clear, this curtain that was
20 installed, was it in place on the
21 night of the fire?

22 A. No.

23 Q. Would you please mark that on
24 the map? That was not in the night
25 of the fire, January 19th? Thank

198

01 you. One more thing on this map
02 then. When you walked this area, did
03 you happen to check the stopping line
04 south of the travelway?

05 A. No. The only place I ever
06 paid attention to was right through
07 here.

08 Q. Was there a stopping there?

09 A. No.

10 Q. Would you mark that on there
11 for us, too, please?

12 WITNESS COMPLIES

13 BY MR. FRANCCART:

14 Q. And there is some reason that
15 you would pay attention to that
16 particular location?

17 A. After I hung them cables, the
18 spools were laying there and I kicked
19 them down the hill.

20 Q. Okay. Good reason. Okay.

21 MR. FRANCCART:

22 Thank you. I think
23 that's all we have on the map.

24 BY MR. FRANCCART:

25 Q. Just to be clear on the use of

199

01 belt air, did you feel that the air
02 off the 72-inch, Number Seven belt,
03 was being used on the Number Two
04 section?

05 A. I really never paid any
06 attention, honestly. I just do what
07 I'm told.

08 Q. Do you believe that the lack
09 of a separation between the 72-inch

10 belt and that intake escapeway was a
11 hazard?

12 A. I personally don't believe in
13 belt intake --- I think all belt
14 lines should be isolated, myself.

15 Q. As far as isolated, do you
16 mean that the belt air shouldn't be
17 used, that it should be isolated to a
18 certain point?

19 A. Yeah. I just don't think belt
20 air should be used, myself.

21 Q. Why is that?

22 A. Just, for one, I mean, you got
23 dust on the belt and the belt catch
24 on fire. I mean, there's just a
25 number of reasons I don't think it

200

01 should be. I'm not an engineer or
02 anything. We went to mine school or
03 anything, I always thought that they
04 told you you isolate your belt line
05 with stoppings and put box checks at
06 the beginning and end of the belt
07 line to keep it isolated. And that's
08 just the way I would do it.

09 Q. What school did you go to?

10 A. Just the mine foreman class
11 that Massey sends you to if you want
12 to get your papers.

13 Q. And who teaches that class?

14 Is it Massey or is a contractor?

15 A. Ed Tafen (phonetic) teaches

16 that class. He's a contractor.

17 Q. Does he teach a number of

18 mines in the area or is he just

19 Massey?

20 A. I don't know what all or who

21 all he teaches.

22 Q. Do you know who would have

23 removed those stoppings that you

24 marked on the map?

25 A. I could just assume. I mean,

201

01 you know, that's all I could do. I

02 never seen nobody physically take

03 them down.

04 Q. Do you have any idea who may

05 have?

06 A. I would assume the

07 construction crew.

08 Q. You told us who was in charge

09 of that crew earlier.

10 A. It would be Chris Herndon.

11 Q. And do you know any other

12 people on that crew and can you name

13 them?

14 A. Derrick Vonater (phonetic),

15 Eric Lester. I know all their first
16 names for sure. I number of them got
17 killed on the drug test, so they're
18 no longer with Massey. Nick, and I
19 ain't real sure of his last name.
20 Richard Williams, he's no longer with
21 Massey. He works for Jupiter now.
22 Greg Hensley, Don Haggie, and then
23 they --- there's more, but I can't
24 picture their names right now.
25 That's the ones I remember off the

202

01 top of my head.

02 Q. Thank you. Do you have any
03 concerns that those stoppings were
04 removed?

05 A. Did I have any concerns? No,
06 I thought they was supposed to be
07 like that.

08 Q. Don't get mad at me if I ask
09 you to come to the map one more time;
10 okay? Would you please come to the
11 map one more time?

12 A. Yeah.

13 Q. On the 72-inch belt we have a
14 number of overcasts marked on the
15 map. Do you know if all of those
16 overcasts were in the day of the
17 fire?

18 A. Yeah. As far as I know, they
19 was all in. Let's go through there,
20 the doors. Right there. I'm pretty
21 sure. I'm pretty sure all of them
22 was in.

23 Q. Do you know if there's any new
24 construction in that area of the
25 airlock doors?

203

01 A. Since the fire or before the
02 fire?

03 Q. Before the fire.

04 A. Not that I'm really aware of,
05 no. It gets low right there, so I'm
06 pretty sure those two are.

07 Q. We talked about the fire on
08 December 29th before where the smoke
09 traveled inby on the north mains
10 belt. And we didn't have smoke
11 coming up the 48-inch belt. And you
12 said you could speculate on why that
13 would happen. Could you speculate
14 for us why you think that smoke
15 didn't go up the 48-inch belt?

16 A. Well, I'm just assuming that
17 it went up to 53 here, so maybe it's
18 going up here and out somewhere.

19 Q. Do you know how it was going

20 that way?

21 A. No.

22 Q. Do you know of any airlock
23 doors being constructed in the
24 northeast mains after the fire
25 occurred?

204

01 A. No.

02 Q. Thank you. Jesse, could you
03 just mark the area where there was a
04 heat problem where the stopping was
05 removed?

06 WITNESS COMPLIES

07 BY MR. FRANCAERT:

08 Q. That's just the north side of
09 the stopping that was removed. Mark
10 it in red.

11 WITNESS COMPLIES

12 A. That never shut the belt down
13 or caused any problems. It just
14 would cause your light to flash on
15 the boxes like a warning.

16 BY MR. FRANCAERT:

17 Q. The heat from that?

18 A. Yes, and the --- inside the
19 little box was just hotter than what
20 it was supposed to be, you know,
21 inside the red box. You could kind
22 of --- if you wanted to, you could

23 crack the door a little bit and it
24 would go away, but that's --- that
25 was the extent of that problem.

205

01 Q. Thank you. On the 29th, when
02 you had that fire, do you know what
03 the air direction was on the 48-inch
04 belt?

05 A. No.

06 Q. Could it possibly be coming
07 outby in that area?

08 A. I don't know.

09 Q. Why did you think that that
10 stopping was removed because of the
11 heat? Did somebody tell you that or
12 did you recommend that?

13 A. No, I didn't recommend it.

14 When you would go back in there, it
15 was like being in a sauna. I mean,
16 when you got three boxes back in
17 there, and especially your box that's
18 running your motors, it gets warm.
19 And you know, your KVA box gets warm
20 anyway. People cook on top of them
21 if they want to put a --- on about
22 any box, you can put you a frozen TV
23 dinner in a box on it and have you a
24 nice warm lunch if you want. So they

25 put out heat anyway. It's enclosed

206

01 right there and it will all just stay

02 right there.

03 Q. Do you know who took that

04 stopping out?

05 A. No.

06 Q. The Number Seven belt, is it

07 supposed to be common with the

08 northeast mains intake?

09 A. I don't know.

10 Q. Are there any other reasons

11 that those sensors in the 48-inch

12 belt wouldn't have gone off on the

13 fire on the 29th?

14 A. Just if the smoke wasn't

15 reaching. That would be the only

16 reason I would know.

17 Q. So the air would have to be

18 taken somewhere else other than the

19 48-inch belt?

20 A. Yeah, taken somewhere else.

21 Or maybe it was --- I don't know if

22 it could. Maybe it could go higher

23 and go over top the overcast, you

24 know, above the sensor. I don't know

25 if it could or not. The sensor is

207

01 about chest level, you know, and the

02 overcast is --- I don't know.

03 Q. The 48-inch water sprinkler
04 system, is it provided with a visual
05 and audible alarm; do you know?

06 A. It don't --- when we buy the
07 system, it doesn't come with one. It
08 comes with two 50-foot joints of
09 hose, a manifold and a flow switch,
10 new, is what they come with. Now, I
11 put the old faithful box on them just
12 so we'll have an audio and visual
13 alarm.

14 Q. Do you have those installed on
15 the 48-inch belt also?

16 A. On the 48-inch belts, they go
17 into the Pyott-Boone belt box, the
18 1010 belt box system. You know, they
19 have an audio and visual alarm on
20 those.

21 Q. And where are they located?

22 A. They're on the starter boxes
23 theirselves at each head.

24 Q. Do you know if the doors, the
25 airlock doors in the travelway have

208

01 ever been opened to remove smoke from
02 that area?

03 A. Not that I'm aware of. I

04 don't know.

05 Q. Do you know if anybody knew
06 that the air from the 72-inch belt
07 was traveling to the Number Two
08 section?

09 A. Not that I know of.

10 Q. As far as the emphasis on
11 safety at the mine, do you think it
12 is secondary to production?

13 A. It's a safe mine. It's --- I
14 don't feel that it is. They have
15 their safety meetings and they seem
16 like they care about safety. I mean,
17 I'm not scared or anything. It's a
18 good place to work and I ---
19 everything that happened that night
20 in question there is just --- I guess
21 a lot of things had to go wrong or
22 something. I mean, it's just a freak
23 accident. But yeah, I think they're
24 a safe company.

25 Q. Do you know what caused the

01 fire?

02 A. I've heard.

03 Q. What have you heard?

04 A. That the belt had rubbed into
05 the structure or to the bearing and
06 caught on fire.

07 Q. Have you heard why smoke got
08 into the intake escapeway?
09 A. That I haven't heard.
10 Q. Who did you hear the cause of
11 the fire from?
12 A. There's numerous people. I
13 mean, ---.
14 Q. Just a general rumor?
15 A. Yeah. Yeah.
16 Q. What do you think could be
17 done to prevent that type of a fire
18 in the future?
19 A. If that is found to be the
20 cause?
21 Q. Yes.
22 A. I don't know. I mean, that
23 area up there, it was well rock
24 dusted. It looked like it was
25 sitting in a creek bed it was so wet.

210

01 I mean, I don't know how it burnt
02 like it did.
03 Q. I know you don't know how
04 smoke got into the intake escapeway,
05 but do you have any ideas on how we
06 could prevent fatalities like this
07 happening in the future?
08 A. I'm not --- maybe sitting down

09 thinking about it a little while, but
10 not right off the top of my head. I
11 mean, from everything that I've heard
12 and talked to the dispatcher, as soon
13 as Bryan Cabell got up there and he
14 seen the fire wasn't going to be
15 containable, they stopped the belts
16 and the section started out. I mean,
17 that's a pretty quick response time,
18 from what I --- I mean, if what I've
19 heard is true, you know. So I mean,
20 they got out quick. Maybe have a
21 rope or something at the section so
22 that the guys can keep ahold of it
23 maybe if they do encounter smoke, you
24 know, a lanyard for each other ----
25 when they all got off their ride, you

211

01 know, everybody hold onto the rope so
02 they could stay together. That's
03 just --- from what I hear, that's
04 what --- how the two guys got killed,
05 is they got --- panicked and
06 separated. I mean, if they had a
07 rope, they could hold onto it.
08 Q. Do you know if the booster
09 pumps that provide the water to the
10 sections, have they ever not been
11 operated when the longwall has been

12 operating?

13 A. No. Them pumps operate all
14 the time.

15 Q. All the time?

16 A. Yeah. You don't want to turn
17 them off. You'll get air in your
18 line, and then you go start it back
19 up and you'll blow a line. You want
20 to keep your line full.

21 MR. FRANCCART:

22 Bill?

23 BY MR. TUCKER:

24 Q. Did you happen to attend a
25 meeting at a grade school after the

212

01 fire?

02 A. No, I did not go to that
03 meeting.

04 Q. Do you know if belt alignment
05 switches has ever been used around
06 the storage unit or the mother drive
07 belt?

08 A. No, they have not been used.

09 Q. Did they use them anywhere at
10 the mine, that you know of?

11 A. No.

12 BY MR. FRANCCART:

13 Q. Just a couple more clarifying

14 and I think we'll be finished.
15 Without the stoppings across the
16 72-inch, Number Seven belt, why would
17 the equipment doors reverse air on
18 the longwall belt?
19 A. It just looks --- you see the
20 air coming down through on the
21 crossover right there. To me, you
22 know, --- I don't know. I mean, I
23 could speculate and say stuff, and I
24 don't know. It just looks like if
25 maybe your draw on top of the hill is

213

01 greater than the draw on the tailgate
02 side and those doors are open, that's
03 exactly where the air would want to
04 go.

05 Q. Talking about smoke going over
06 the overcasts on the 29th, do you
07 remember that? Why wouldn't it be
08 picked up further down in the 48-inch
09 belt if it did bypass the first
10 sensor?

11 A. I don't know if it made it
12 that far. I mean, I don't know where
13 the smoke went or what --- if it went
14 on up the 72-inch belt and out
15 somewhere up that way or --- I don't
16 know.

17 Q. Did you ever open those
18 airlock doors on the travelway?
19 A. To travel through them, yeah.
20 Q. Do you know what the air
21 direction was when you opened those
22 doors, which way the air would want
23 to flow?
24 A. No.
25 Q. You never took notice of that?

214

01 A. No.
02 Q. The air direction at 72 belt,
03 you've already marked on here that it
04 was moving inby toward the Number Two
05 section. Was the air coming from the
06 mains, north mains, into the 72-inch
07 belt at the mouth of the northeast
08 mains?
09 A. Northeast mains? I don't
10 understand.
11 Q. You've marked the air
12 direction as inby right here at the
13 mouth of the section, ---
14 A. Yeah.
15 Q. --- the mouth of the mains.
16 So the air was coming up the north
17 mains and making a turn in here?
18 A. Yeah, some of it. Some of it

19 went straight and some of it would
20 have to go that way.
21 Q. Who determines when the
22 booster pumps should be turned off or
23 on; do you know?
24 A. No, I do not know that.
25 Q. Is there any kind of a log

215

01 that's kept of that, whether or not
02 they're turned off or on?
03 A. Not that I know of.
04 Q. Do you know if anybody keeps a
05 notation on the surface whether or
06 not those pumps have been turned on
07 or off?
08 A. No, sir.
09 BY MR. TUCKER:
10 Q. Just a couple more, Jesse. At
11 the end of your shift on the 19th,
12 how did you come outside that day?
13 A. I rode out with Shiner --- or
14 with Chris Herndon. We rode out on a
15 15-man diesel ride. We came through
16 those double doors right there, under
17 the mother drive and outside.
18 Q. Was there anybody in that area
19 when you all came through that you
20 noticed?
21 A. I don't know. I don't

22 remember.

23 Q. The mother drive area or ---

24 A. I don't remember.

25 Q. --- the double doors? Do you

216

01 remember, did somebody off of your

02 crew that you rode out with, did they

03 open the doors ---

04 A. Yeah.

05 Q. --- or did somebody else open

06 them?

07 A. They opened the doors.

08 Q. Do you know about what time

09 that was you all come through there?

10 A. Yeah. It was four o'clock.

11 Q. When you come through the

12 double doors ---

13 A. Yeah.

14 Q. --- is right at four o'clock?

15 A. Right at four o'clock.

16 Q. Did you look at your watch

17 or ---?

18 A. No. They was making a comment

19 of how fast Haggie was driving

20 because we always get out late when

21 you're up on that section there, ---

22 Q. Right.

23 A. --- and we was moving. We was

24 getting outside.

25 Q. So is that the construction

217

01 crew riding out on that mantrip?

02 A. Uh-huh (yes), construction.

03 Q. It wasn't the Two section

04 crew?

05 A. No, it was the construction

06 crew.

07 Q. Construction crew. And Mr.

08 Haggie was driving the ---?

09 A. Yeah, he was driving the

10 manbus.

11 Q. And you said you all opened

12 the doors yourself?

13 A. Uh-huh (yes).

14 Q. So you didn't notice anybody

15 in that area in particular?

16 A. No, not at the time I didn't.

17 I don't know if Karl was still there

18 or if Bryan was there. I didn't see

19 anybody.

20 Q. Okay.

21 BY MR. FRANCAERT:

22 Q. One last question --- two last

23 questions. Can you come to the map

24 just one last time? I promise this

25 is the last question. Could you mark

218

01 for us the air direction that you
02 would have observed when you walked
03 past the tail of the Number Seven
04 belt? Was it traveling in an inby or
05 outby direction?

06 A. I really don't know. I never
07 really paid any attention. Just
08 looking at it, it should say it goes
09 that way, but --- I'd just be writing
10 it because that's the way ---.

11 Q. Logically, you would think
12 that the air would move inby?

13 A. Oh, yeah.

14 Q. What about the location of the
15 curtain? When that curtain was in,
16 did you ever have opportunity to walk
17 past that?

18 A. No. They had that curtain
19 fairly tight. You'd tear it down if
20 you tried to go through it.

21 Q. Did you notice what kind of
22 pressure was on that curtain one way
23 or the other?

24 A. Nope, never paid any
25 attention.

219

01 Q. Do you have any idea when that
02 curtain was installed?

03 A. It was installed the day they
04 --- like I said, the day they put
05 that structure there, they put a
06 splitter box in.

07 Q. A relative date? Can you give
08 us an approximate time?

09 A. Sometime in November I would
10 say.

11 MR. FRANCAERT:

12 You can have a seat.
13 We'll wrap it up before we get
14 another one. Jesse, first of
15 all, thanks for bearing with
16 us on these clarifying
17 questions. I know it's
18 difficult. It's difficult for
19 us, too, to understand all the
20 time what the questions have
21 answered and fully understand,
22 but it's very important that
23 everybody understands what's
24 happened and what you saw.

25 On behalf of MSHA, I

220

01 thank you for appearing here
02 today and answering all our
03 questions and sharing the
04 information you know about the
05 mine. Your cooperation is

06 very important to us as we
07 work to determine the cause of
08 the accident. If you wish,
09 you may now go back over any
10 answer you have given during
11 the interview. And if you
12 want to make a closing
13 statement covering any
14 additional points you think we
15 need to know about, please do
16 that now.

17 A. Talking about the CO system,
18 the mid-part of December, we went
19 over the entire system with Minnes.
20 I mean, we checked the sensors,
21 checked the locations. He made sure
22 air was moving. We didn't take an
23 anemometer or anything like that with
24 us, but we made sure we had air
25 movement on the belt. And the only

221

01 problem or the only thing he seen
02 that was wrong with the system at the
03 time was that one CO 75, he wanted it
04 moved behind the motors on the Two
05 section. And that's the only thing
06 that he noted on our CO system that
07 was --- that he seen wrong with it at

08 the time.

09 MR. FRANCCART:

10 Do you have any
11 clarifying questions, Mr.
12 Hardy?

13 ATTORNEY HARDY:

14 No, sir.

15 MR. FRANCCART:

16 I'm sorry I didn't ask
17 you earlier. Anything else
18 you'd like to add, Jesse?

19 A. No, sir.

20 MR. FRANCCART:

21 We do ask you not to
22 discuss this interview today
23 with anybody that we haven't
24 already interviewed so that
25 they don't get a biased

222

01 opinion of what may be asked
02 in the interviews or get your
03 outtake on what you've covered
04 today. We do want to ensure
05 that we obtain everybody's
06 independent memory of the
07 events surrounding the
08 accident.

09 After questioning other
10 witnesses and obtaining

11 additional information, we may
12 ask you back for further
13 questions. If at some later
14 point, you have additional
15 information regarding the
16 accident you would like to
17 share with us that we haven't
18 covered today, please contact
19 Mr. Murray, Kenny Murray, he's
20 the chief investigator of the
21 accident, or his staff
22 assistant, Anthony Webb. And
23 they've provided business
24 cards here for you to take
25 with you today.

223

01 The Mine Act provides
02 certain protection for
03 individuals who participate in
04 accident investigations. If
05 at any time you believe that
06 you have been treated unfairly
07 because of your cooperation
08 here with us today, please
09 contact Mr. Murray or Mr.
10 Webb, and they'll take care of
11 that for you. Bill, do you
12 have a closing statement?

13 MR. TUCKER:
14 Yes. We offer those
15 same protections, Jesse. And
16 we do appreciate your coming
17 here today. You've done a
18 good job trying to answer all
19 of our questions. Here's a
20 card if you'd ever need to
21 contact me about anything.

22 * * * * *

23 EXAMINATION

24 CONCLUDED AT 11:53 A.M.

25 * * * * *