



**SARGENT'S  
COURT  
REPORTING**

**Quality Work. Quality People.**

**Transcript of the Testimony of Michael Adam Godsey**

**Date:** October 14, 2010

**Case:**

**Printed On:** October 19, 2010

Sargent's Court Reporting Services, Inc.

Phone: 814-536-8908

Fax: 814-536-4968

Email: [schedule@sargents.com](mailto:schedule@sargents.com)

Internet: [www.sargents.com](http://www.sargents.com)

STATEMENT UNDER OATH

OF

MICHAEL ADAM GODSEY

taken pursuant to Notice by Beth A. Duzzny, a Court Reporter and Notary Public in and for the State of West Virginia, at The National Mine Health & Safety Academy, 1301 Airport Road, Room C-137, Beaver, West Virginia, on Thursday, October 14, 2010, beginning at 10:30 a.m.

Any reproduction of this transcript is prohibited without authorization by the certifying agency.

1                   A P P E A R A N C E S

2

3     MATTHEW N. BABINGTON, ESQUIRE

4     U.S. Department of Labor

5     Office of the Regional Solicitor

6     1100 Wilson Boulevard

7     22nd Floor West

8     Arlington, VA 22209-2247

9

10    JASEY MAGGARD

11    Miner Safety Health Administration

12    3837 South U.S. Highway 25E

13    Barbourville, KY 40906

14

15    JOHN SCOTT

16    West Virginia Office of Miners' Health,

17    Safety and Training

18    Westover Regional Office

19    14 Commerce Drive

20    Suite 1

21    Westover, WV 26501

22

23

24

25

I N D E X

1		
2		
3	OPENING STATEMENT	
4	By Attorney Babington	5 - 10
5	WITNESS: MICHAEL ADAM GODSEY	
6	EXAMINATION	
7	By Mr. Maggard	11 - 29
8	EXAMINATION	
9	By Mr. Scott	29 - 31
10	RE-EXAMINATION	
11	By Mr. Maggard	31 - 33
12	CLOSING STATEMENT	
13	By Attorney Babington	34 - 35
14	STATEMENT	
15	By Mr. Godsey	35
16	CERTIFICATE	36
17		
18		
19		
20		
21		
22		
23		
24		
25		

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

EXHIBIT PAGE		
		PAGE
NUMBER	DESCRIPTION	IDENTIFIED
One	Tracking Boss	
	Weekly Checklist	34*

\* Exhibit not attached

P R O C E E D I N G S

-----  
ATTORNEY BABINGTON:

My name is Matt Babington. Today is  
October 14th, 2010. I'm with the Office of the  
Solicitor, U.S. Department of Labor. With me is Jasey  
Maggard, an accident investigator with the Mine Safety  
and Health Administration, MSHA, an agency of the U.S.  
Department of Labor. Also present are several people  
--- there's one person from the State of West  
Virginia. I ask that he state his appearance for the  
record.

MR. SCOTT:

John Scott.

ATTORNEY BABINGTON:

There are several members of the  
investigation team also present in the room today.  
Jasey will be conducting the initial questioning.  
All members of the Mine Safety and Health  
Accident Investigation Team and all members of the  
State of West Virginia Accident Investigation Team  
participating in the investigation of the Upper Big  
Branch Mine explosion shall keep confidential all  
information that is gathered from each witness who  
voluntarily provides a statement until the witness

1 statements are officially released. MSHA and the  
2 State of West Virginia shall keep this information  
3 confidential so that other ongoing enforcement  
4 activities are not prejudiced or jeopardized by a  
5 premature release of information. This  
6 confidentiality requirement shall not preclude  
7 investigation team members from sharing information  
8 with each other or with other law enforcement  
9 officials. Their participation in this interview  
10 constitutes their agreement to keep this agreement  
11 confidential.

12 Government investigators and specialists

13 have been assigned to investigate the conditions,  
14 events and circumstances surrounding the fatalities  
15 that occurred at the Upper Big Branch Mine-South on  
16 April 5th, 2010. The investigation is being conducted  
17 by MSHA under Section 103(a) of the Federal Mine  
18 Safety and Health Act and the West Virginia Office of  
19 Miners' Health, Safety and Training. We appreciate  
20 your assistance in this investigation.

21 You may have your personal attorney

22 present during the taking of the statement or another  
23 personal representative, if MSHA has permitted it, and  
24 you may consult with your attorney or representative  
25 at any time. For the record, do you have a personal

1 representative with you here today?

2 MR. GODSEY:

3 No.

4 ATTORNEY BABINGTON:

5 Thank you. Your statement is completely

6 voluntary. You may refuse to answer any question and

7 you may terminate your interview at any time or

8 request a break at any time. We also have bottles of

9 water if you'd like one.

10 MR. GODSEY:

11 Okay.

12 ATTORNEY BABINGTON:

13 Would you like one?

14 MR. GODSEY:

15 Yeah, please.

16 ATTORNEY BABINGTON:

17 I'll get you one after the script. Your

18 identity and the content of this conversation will be

19 made public at the conclusion of the interview process

20 and may be included in the public report of the

21 accident, unless you request your identity remain

22 confidential or your information would otherwise

23 jeopardize a potential criminal investigation. If you

24 request us to keep your identity confidential, we will

25 do so to the extent permitted by law. That means that



1 if a judge orders us to reveal your name or if another  
2 law requires us to reveal your name or if we need to  
3 reveal your name for other law enforcement purposes,  
4 we may do so. Also, there may be a need to use the  
5 information you provide to us or other information we  
6 may ask you to provide in the future in other  
7 investigations into and hearings about the explosion.  
8 Do you understand?

9 MR. GODSEY:

10 Yes, I do.

11 ATTORNEY BABINGTON:

12 Do you have any questions?

13 MR. GODSEY:

14 The only question I have is all this  
15 information is going to be strictly confidential, no  
16 public knowledge of this; correct?

17 ATTORNEY BABINGTON:

18 Well, the transcript at some point would  
19 be released ---

20 MR. GODSEY:

21 Okay.

22 ATTORNEY BABINGTON:

23 --- to the public down the road.

24 MR. GODSEY:

25 Then some of my answers will --- may need

1 to be stopped at certain points for proprietary  
2 information.

3 ATTORNEY BABINGTON:

4 Okay.

5 MR. GODSEY:

6 Okay.

7 ATTORNEY BABINGTON:

8 Okay. And we can talk about that

9 further. If there's proprietary information, we can  
10 talk about what we can do with that ---

11 MR. GODSEY:

12 Okay.

13 ATTORNEY BABINGTON:

14 ---- down the road. Okay. After the

15 investigation is complete, MSHA will issue a public

16 report detailing the nature and causes of the

17 fatalities in the hope that greater awareness about

18 the causes of accidents can reduce their occurrence in

19 the future. Information obtained through witness

20 interviews is frequently included in these reports.

21 Since we'll be interviewing other individuals, we

22 request that you not discuss your testimony with any

23 person aside from a personal representative or

24 counsel.

25 A court reporter will record your

1 interview. Please speak loudly and clearly. If you  
2 do not understand a question asked, please ask the  
3 interviewer to rephrase it. Please answer each  
4 question as fully as you can, including any  
5 information you've learned from someone else.

6 I'd like to thank you in advance for your  
7 appearance here. We appreciate your assistance in  
8 this investigation. Your cooperation is critical in  
9 making the nation's mines safer. After we've finished  
10 asking questions, you'll have an opportunity to make a  
11 statement and provide us with any other information  
12 that you believe to be important. If at any time  
13 after the interview you recall any additional  
14 information that you believe might be useful, please  
15 contact any of us or Norman Page at the contact  
16 information provided in this letter that I'm giving  
17 you now. This letter also explains --- basically goes  
18 over what I just went over in this script. Before we  
19 start, can we just go off the record for a minute?

20 OFF RECORD DISCUSSION

21 ATTORNEY BABINGTON:

22 Let's go back on the record. Would you  
23 swear the witness in, please?

24 -----

25 MICHAEL ADAM GODSEY, HAVING FIRST BEEN DULY SWORN,

1 TESTIFIED AS FOLLOWS:

2 -----

3 EXAMINATION

4 BY MR. MAGGARD:

5 Q. Could you please state your full name and spell  
6 your last name for the record, please?

7 A. Sure. It's Michael Adam Godsey. My last name is  
8 spelled G-O-D-S-E-Y.

9 Q. And you go by Adam; right?

10 A. Yes.

11 Q. Adam, where are you currently employed?

12 A. I'm currently employed with Pyott-Boone  
13 Electronics, in Tazewell, Virginia, and I'm the  
14 engineering manager.

15 Q. Could you give us a point of contact, a telephone  
16 number and address for you?

17 A. Yes. [REDACTED],

18 [REDACTED]. And my phone number is area code

19 [REDACTED].

20 Q. Thank you. How long have you been employed with  
21 Pyott-Boone?

22 A. I have been with Pyott-Boone just over three  
23 years. I started there in March of 2007.

24 Q. And what are your current duties there?

25 A. My current duties are product development,

1 managing the engineering department from manufacturing  
2 to research and development.

3 Q. What other places have you been employed? Give me  
4 a little background information on your experience and  
5 your education, please.

6 A. Okay. I graduated from Virginia Tech with a  
7 Bachelor's degree in electrical engineering in  
8 December of '97, after which time I became employed  
9 with a company in Pennsylvania called Coulbourn  
10 Instruments. And I worked there as a sales  
11 application engineer for approximately a year to a  
12 year-and-a-half. I was then promoted to engineering  
13 department, where I worked there up until I was  
14 employed with Pyott-Boone. That particular company  
15 specialized in equipment for animal behavior research  
16 and biofeedback instrumentation.

17 Q. As far as your duties at Pyott-Boone, are you  
18 familiar --- do you work a lot with the type of system  
19 that was used at the Upper Big Branch Mine, the CO  
20 system, the mine boss system and the communication and  
21 tracking system that they had at the mine?

22 A. Over the course of the three years I've been  
23 there, I have been exposed to it. I'm not going to  
24 say that I know all the integral details, but rather  
25 familiar with the products we provide and the systems.

1 Q. Okay. Do you do programming as far as event  
2 logging or do you --- how familiar are you with the  
3 system as far as alarms and how that works?

4 A. I'm familiar with that just as much as my  
5 technical director has informed me. I've not  
6 personally done any of the programming directly, so my  
7 knowledge to that is the extent of what I've been  
8 explained to.

9 Q. Okay. Now, on April 5th, on the event log at the  
10 CO system at UBB, have you been able to look at the  
11 data from that event log that was downloaded from the  
12 computer at the mine site?

13 A. We have looked at it and provided some  
14 information --- some feedback to MSHA. We have not  
15 done an extensive amount of analysis at this point.  
16 Primarily we've been providing data, as has been  
17 requested.

18 Q. So could you tell me what you do know about the  
19 system, about the speed of the CO system and the speed  
20 of the communication and tracking system as far as  
21 baud rates go and the communication?

22 A. The system installed at the Upper Big Branch  
23 Mine, the CO monitor system or the atmospheric  
24 monitoring system, as is most commonly termed, was a  
25 system set up to run at 320 baud. Our tracking

1 system, however, is on a separate communications line  
2 and it runs at 4,800 baud.

3 Q. Can you kind of go into a little bit of detail as  
4 far as how priorities are set on the event log or how  
5 they are recorded, what the software is looking for  
6 when an event occurs?

7 A. Okay. The software logs all alarm conditions. As  
8 soon as the data is communicated back to the master  
9 station or the computer, that information is logged to  
10 the event log. As far as priorities, my familiarity  
11 on, you know, the priority levels is limited.

12 However, alarm conditions are a higher priority than  
13 just your standard communications. Basically the  
14 system, if you look at the tree structure, you have a  
15 scanner and you have devices hanging off of that  
16 scanner. All those devices that hang under that  
17 scanner are communicated with. And depending on if  
18 the forms are opened or closed, they will change in  
19 priority in terms of at what point they get sampled or  
20 scanned. So what happens is, for instance, if an  
21 alarm goes off, a window will pop up which will show  
22 an alarm condition. That will be logged in the event  
23 log, and then the scan priority for that particular  
24 device will be moved up in the list.

25 Q. Okay. Now, as far --- when you're talking about

1 an alarm event, are you saying that a CO concentration  
2 level above the alarm set point is given a higher  
3 priority than, let's say, a data loss or a loss of  
4 communication?

5 A. Yes, that's exactly what I'm saying.

6 Q. Okay. Now, this system probably had over 200  
7 address points with the communications, the tag  
8 readers and the COs and the APSS and all that. now,  
9 knowing that that system is that large, okay, if an  
10 alarm condition occurred, how quick would you predict  
11 that alarm would happen? Say that a communication  
12 line was severed and you were sitting outside, how  
13 quick would you expect that alarm to show up on the  
14 event log?

15 A. Under normal operating conditions, meaning all  
16 devices are communicating, everything is intact, a  
17 320-baud scanner should be able to pull 127 devices  
18 somewhere in the neighborhood of 32 seconds. And the  
19 way our system is architected, that's the maximum  
20 number of devices that can be on a given scanner.

21 Q. Now, let's say that 40 of those 200 devices ---  
22 when you cut the line they were was 40 devices  
23 upstream from that severed communication line. Would  
24 that make that 32 seconds quicker or would it be the  
25 same/



1 A. Actually, it will slow it down. The reason is  
2 that the system inherently has means for trying to  
3 maintain communication with devices. And there's some  
4 settings within the application can affect how long it  
5 will take before the system will acknowledge that a  
6 particular device is no longer accessible. So in the  
7 configuration of the scanner, you can adjust a couple  
8 different parameters that would impact that. I think  
9 that's about the extent of what I can disclose at this  
10 point, but ---.

11 Q. Okay. So out of one communication port you're  
12 looking at 127 devices. And if nothing is going on,  
13 no alarms, is it just going through each device, doing  
14 a fault tolerant check or how does that work?

15 A. Within the master database you'll see a tree of  
16 devices under a scanner. All those devices are  
17 pulled, so you know, the master station will  
18 communicate out and expect a response back. And it's  
19 sequential, except for the fact that, given  
20 priorities, that order of operation changes. So in a  
21 given amount of days, you can't really predict what  
22 order they're in because different alarms have moved  
23 things up in the order of the scan priority, so ---.

24 Q. Now, let's say that it was scanning a certain  
25 device that was --- that lost communications when it

1 was scanning, how would that work as far as event  
2 logging? Would it be looking at that and see it and  
3 then alarm or would it wait and go --- how does that  
4 work?

5 A. There's some settings in the configuration for the  
6 scanner that addresses how that will be handled. It  
7 will attempt to communicate some number of times,  
8 after which point it will report to the computer that  
9 this device is dead.

10 Q. So we had an alarm, the first loss of  
11 communication that happened at 15:08:01, which was  
12 what was on the event log, and then subsequently we  
13 had several data loss alarms. If I understand you  
14 right, you would say that the best case would be 32  
15 seconds that that alarm would come in, or was that  
16 worst case if that was just one device?

17 A. That's a little bit more difficult. No, the 32  
18 seconds that I alluded to is assuming that all devices  
19 are communicating correctly. The time with which it  
20 requires the system to go through and scan all the  
21 devices is somewhere in the neighborhood of 32 seconds  
22 with functional devices. When a device becomes  
23 dysfunctional, disconnected, the system tries to  
24 maintain communication X number of times. Now, that's  
25 what has to be looked at to assess how long that time

1 frame is.

2 Q. Okay. So could you say that --- let's say it was  
3 the one device now. Let's forget about the 40 --- the  
4 32 seconds, I'm still kind of confused here so you'll  
5 have to help me out, is that worst case or is that ---  
6 can it be quicker, can it be slower?

7 A. For one device it will be significantly faster.

8 Q. Okay. And what's the fastest response you've ever  
9 seen from a system probably this size or close to this  
10 size?

11 A. To be honest with you, I'm not at liberty really  
12 to answer that. I don't really know. I don't know.

13 Q. Okay. You said that with 40 devices failing all  
14 at once, it would take --- you would --- do you think  
15 that you could figure out from this 15:08:01 time a  
16 time period prior to that window that maybe that alarm  
17 had occurred?

18 A. If we could assess how many devices in that system  
19 were fully functional and active at the time of the  
20 incident, we should be able to mathematically  
21 approximate what time that happened.

22 Q. Okay.

23 A. However, there's a lot of variables there that  
24 would have to be taken into consideration because with  
25 our system, if there's devices that are on the scanner

1 that have been taken out of service, that occupies  
2 unnecessary bandwidth and so we would need to know  
3 several details to be able to do that.

4 Q. Okay. In your opinion, what would you say would  
5 be the worst case? Without looking into it in more  
6 detail ---

7 A. Uh-huh (yes).

8 Q. --- at this point, something that may help us as  
9 far as the investigation goes with the 15:08 time,  
10 what would you say that the worst case, you know, just  
11 your opinion, that time could have been, that window  
12 prior to that?

13 A. If we make an assumption of, say, one device was  
14 still communicating and all the remaining devices were  
15 unoperable or could not be communicated with, it  
16 could be up to several minutes, okay.

17 Q. And would several minutes be two to three minutes,  
18 four minutes?

19 A. It could be in excess of ten minutes.

20 Q. Okay. But you're saying one device is  
21 communicating and all the rest of them are out?

22 A. Right. That's absolute worst case.

23 Q. Okay. If half the devices failed or a third of  
24 the devices, that window would narrow; ---

25 A. You can ---

1 Q. --- is that ---?

2 A. --- almost linearly approximate that. Okay. The  
3 only issue is different devices have different numbers  
4 of bytes that they communicate. So to really  
5 effectively analyze that, you need to know how many  
6 devices were operational and how many went out, and  
7 from that data you should be able to approximate.

8 Q. Now, we've got COs that are at 320 baud, right,  
9 and then we've got communication tag readers that are  
10 at 4,800 baud. But from the data that we see, we see  
11 the alarms for the tag readers come in three minutes  
12 after the first CO data loss came in. Could you  
13 explain why that could have occurred with the  
14 different baud rates that those two parts of the  
15 system have?

16 A. Yeah. The tracking system is on a completely  
17 different scanner, so the integrity of its data system  
18 is completely independent of the CO. So the  
19 correlation between the two is difficult to justify.  
20 Plus the tracking system has a tremendous amount of  
21 data communicating back and forth as compared to the  
22 CO system. That being said, just the amount of data  
23 in comparison to what's being received in the tracking  
24 versus what's being received in the AMS system, the  
25 disparity there between the two is the best

1 justification I can give, you know, given limited  
2 information.

3 Q. Okay. As far as CO sensors go and say you get a  
4 concentration alarm on the screen and it gives you a  
5 value, what does that value mean?

6 A. The values that you read on the event log are what  
7 the gas monitor is interpreting the environment to be  
8 providing. Now, I had to quantify that because  
9 sensors have cross sensitivity to other gases as well  
10 and they have reactions to pressures and temperatures.  
11 But for the most part, under, say, normal operating  
12 conditions, that would be the actual gas concentration  
13 that it monitored.

14 Q. Now, these alarms, if the software is programmed  
15 to do it, it will re-launch every five minutes; is  
16 that correct? How does that work?

17 A. There is a --- there's an entry box in the  
18 configuration for the COs where you can adjust that,  
19 but I believe it does default on five minutes.

20 Q. Okay. Now, if that gas concentration changed,  
21 would you see a change in the value in the event log?

22 A. Yes.

23 Q. Okay. And then it communicates to that --- or  
24 that CO sensor, it's going out, the software is  
25 saying, okay, it's five minutes, I'm going to talk to

1 this CO sensor at such and such head drive, does it  
2 get the value that is currently being shown on the  
3 sensor to put it in the event log?

4 A. It gives the last value that it received when it  
5 pulled the device.

6 Q. Okay. And with the way --- that could be several  
7 minutes, is that correct, or am I ---?

8 A. Yeah. Depending on the condition of the system at  
9 the time, yeah.

10 Q. So it could have went out and grabbed that data  
11 three minutes ago from when it puts it on the screen,  
12 but it knows five minutes has passed since the last  
13 alarm initiation on the event log, and I need to put  
14 what I last seen from that device as far as  
15 concentration goes; is that correct?

16 A. I don't think there's that large of a disparity.  
17 I think the --- when it presents it is --- when it  
18 last communicated. The event log is updated as it  
19 receives the information, so it should be relatively  
20 consistent with the data logging of ---.

21 Q. Okay. So are you telling me that if you got that  
22 program for five minutes that --- in five minutes from  
23 the last event log is trying to communicate with that  
24 device?

25 A. Uh-huh (yes).

1 Q. For the record, you're indicating ---?

2 A. Yes. Yes.

3 Q. Okay. Now, you talked about pressures. Have you  
4 --- could you tell me a little bit about what type of  
5 CO sensor that you provide for the Pyott-Boone system?

6 A. We use a sensor manufactured by CitiTech. I don't  
7 have with me any details pertaining to that particular  
8 sensor, so I can't really elaborate on any specific  
9 details. But as far as its performance or its  
10 pressure, that would have to be a question probably  
11 more directed towards CitiTech.

12 Q. As far as pressure goes or low oxygen, do you know  
13 how oxygen levels affect the CO sensors' capabilities?

14 A. That's another one that I would prefer to restrict  
15 to a discussion with the manufacturer. I can provide  
16 you what our interpretation is or opinions. The cell  
17 we use is an electrochemical cell, and there is a  
18 maximum level of CO that can be --- it can be  
19 subjected to. But as far as depleting the cell, it  
20 has to be exposed for some period of time, kind of  
21 like a fuel cell or something similar, before it's  
22 depleted. My understanding is that it will reach a  
23 maximum current or voltage that it can produce for a  
24 given gas level. And the interpretation of, you know,  
25 it being saturated is that it's the maxed level. But



1 an extended exposure to a high level will definitely  
2 deplete it.

3 Q. If you could, if you could provide the maximum  
4 level CO that it will --- concentration that you know  
5 that it can operate efficiently?

6 A. Our monitor is designed to monitor up to 107 parts  
7 per million.

8 Q. Okay. Are these CitiTech CO cells, are they  
9 sensitive to hydrogen, the battery charging stations?

10 A. Yes, they are.

11 Q. And from your experience, what kind of  
12 concentrations have you seen from some of the CO  
13 sensors? What kind of --- just, you know, what have  
14 you seen, like some of them go up ten parts per  
15 million if there's a lot of hydrogen or what do  
16 you ---?

17 A. The manufacturer indicates that the cell we use,  
18 given a hundred parts per million concentration of  
19 hydrogen, the CO detection will be less than 20 parts  
20 per million.

21 Q. Do you have --- do you supply a sensor that is not  
22 sensitive to hydrogen battery chargers?

23 A. We do provide a hydrogen-discriminating gas  
24 monitor. It requires two gas sensors, one for  
25 monitoring carbon monoxide and one for monitoring

1 hydrogen. And then there's' an algorithm that more or  
2 less subtracts out the contribution due to hydrogen  
3 from the CO.

4 Q. Could you tell me about the communication and  
5 tracking? What's your recommended maintenance  
6 procedure for that system?

7 A. I have with me a checklist. I don't know if you  
8 guys would like me to read it or just commit this to  
9 record.

10 Q. Either way is fine with me.

11 ATTORNEY BABINGTON:

12 Are there specific things on the  
13 checklist you wanted to talk about?

14 MR. MAGGARD:

15 If he could read it for the record. It  
16 doesn't look like it would be that hard to do. That  
17 would be fine.

18 ATTORNEY BABINGTON:

19 That's fine.

20 A. That's fine.

21 BY MR. MAGGARD:

22 Q. If that's fine with you.

23 A. Yeah, that's fine.

24 ATTORNEY BABINGTON:

25 Do you mind if we also then get the ---

1 we'll put a --- if you could read it and then we'll  
2 also have a copy ---

3 A. Yeah.

4 ATTORNEY BABINGTON:

5 --- as part of the record.

6 A. That's fine, yeah. Okay. We put together a  
7 tracking boss weekly checklist. This is specifically  
8 for Pyott-Boone's tracking system. Okay. This is not  
9 pertaining to the leaky feeder. This is just for the  
10 track --- the tag readers, okay. And the checklist  
11 goes as follows. Check that all tag readers are being  
12 detected by the mine boss application. This can be  
13 confirmed by checking at all used subchannel tabs  
14 within the tag reader module are colored light green  
15 from the mine boss desktop. If you're using a mine  
16 map for displaying all tag readers, this can be  
17 confirmed by looking and confirming the tag reader  
18 icon on the mine map are all colored green. The  
19 second item is check that tags have been or are being  
20 detected by all tag readers. This can be verified by  
21 using the history log to confirm that tags have  
22 recently been detected by each tag reading.  
23 The third item, check that power indicators are  
24 illuminated green on all Model 1925 power supplies.  
25 Check that the power indicators are lit green on all

1 tag readers in the system. If the power indicator is  
2 red, confirm there is 24 volts DC at the power input  
3 terminals. If 24-volt DC is present at the input  
4 terminals, take the tag reader out of service and send  
5 it to a service center for repair. Check that the  
6 communications indicators are blinking on all the tag  
7 readers in the system. If the communications  
8 indicator is not blinking, confirm that the tag reader  
9 has not been moved and that it is within ten feet of  
10 the leaky feeder cable. If it is within the specified  
11 distance, take the tag reader out of service and send  
12 it to the service ---. Check that the system  
13 continues to function when all power supplies are  
14 de-energized.

15 Disconnect AC power to all power supplies and  
16 allow the system to run for five to ten minutes with  
17 power disconnected. If any tag readers act  
18 irregularly, take them out of service and send it to a  
19 repair center. Check that the system continues to  
20 function when all power supplies are re-energized.  
21 Check that an advisory condition can be detected by  
22 each tag reader. This can be tested by pressing the  
23 push button on a tag while in range of each individual  
24 tag reader. Care shall be taken to only be in range  
25 of the tag reader in question so as to properly test

1 each tag reader's ability to pick up the advisory  
2 condition. Tags have been known to be picked up at  
3 distances up to 700 feet, so use the distances as a  
4 gauge to how close you need to be to ensure that  
5 multiple tag readers are not within range of the tag.

6 Q. Okay. And this is considered a weekly test?

7 A. Yes.

8 Q. Okay. Thank you. Another question I have is  
9 regarding the time that was shown on the CO computer  
10 on April 5th. We understand that Wes Leffel and David  
11 Childress was there at the site. Have they mentioned  
12 anything about they checked the time on the computer  
13 with regard to their watches or any other devices?

14 A. I did ask Dave Childress about that, and  
15 truthfully, under the conditions, it didn't even cross  
16 our mind to even think about it. They were there more  
17 in a support capacity and didn't --- it didn't occur  
18 to them to look at that.

19 Q. The last time that we had discussions with your  
20 company we discussed with Gary Sargent about providing  
21 us with some purchase order information from the mine  
22 site as far as the communication and tracking system  
23 went. Did you bring that with you today?

24 A. Yes, I did. I have two pages here to provide.

25 Q. I'd like to, with your permission, to be able to

1 put that in the record.

2 A. Is this another one of those things that's going  
3 to be public knowledge or is this one going to be  
4 restricted?

5 Q. It would be --- if it goes into the record, it  
6 would be public knowledge. One think I asked Gary  
7 about is not putting any kind of price tags on  
8 anything. I just wanted to see when all the stuff was  
9 ordered basically and when it arrived, so ---.

10 A. Okay.

11 ATTORNEY BABINGTON:

12 Would you like to hold onto this and then  
13 come back and talk about this at the end?

14 A. Yeah, I think I would.

15 ATTORNEY BABINGTON:

16 Let's talk about this ---

17 MR. MAGGARD:

18 No problem.

19 ATTORNEY BABINGTON:

20 --- at the end of the ---.

21 MR. MAGGARD:

22 That's all the question I got right now.

23 I'll turn it over to John. Thank you very much.

24 EXAMINATION

25 BY MR. SCOTT:

1 Q. Basically you said there was kind of a time delay  
2 and that if you had all the information you might be  
3 able to come up with a kind of estimated time. Do you  
4 have all --- do you need more --- what information ---  
5 have you got enough information to do that?

6 A. I've got some information. I may or may not have  
7 all the information I need. And some of it, I may  
8 need to speak with the dispatcher that was working at  
9 the time to assess, you know, which devices within the  
10 system were actually functional and which were not.

11 Q. Okay. Let's see. Also, see, it's --- the  
12 tracking system was basically separate from the CO  
13 system. They have different baud rates, different  
14 communication cables?

15 A. That's correct. Yes.

16 Q. Now, you talked a little bit about bandwidth and  
17 you stated that 127 devices, if everything was working  
18 properly at the 320 baud rate, 32 seconds was a pretty  
19 much good guess at the rate. If you cut that in half,  
20 127 in half, would you cut the time in half also?  
21 Would that be a good correlation on that?

22 A. There's a pretty close linear approximation there.  
23 The only difference really is, you know, we have  
24 several devices. We got CO, belt bosses, analog  
25 scanners, you know. All of them have a different

1 communication structure. Some require more bytes than  
2 others. That's really where the difference would lie.  
3 But it probably would be fair to say an approximation  
4 of, you know, half device would be half the time.  
5 That would be a fair assessment.

6 Q. And then but also in the same deal, if there was  
7 127 CO sensors or 127 belt bosses, there would be a  
8 little bit of difference because of the data needed  
9 for each one ---

10 A. Correct.

11 Q. --- events or whatever that it actually scans for?

12 A. Yes, that is correct.

13 Q. Amount of information it looks at on each device  
14 as it scans?

15 A. Correct.

16 Q. What I was asking earlier about doing the actual  
17 time if you could get a little more information, that  
18 wouldn't be a problem for --- I mean, I don't think  
19 there's any proprietary or ---.

20 A. No. I think Pyott-Boone would be happy to support  
21 and whatever we need to to help assess whatever needs  
22 to be done.

23 MR. SCOTT:

24 That's all I have. Thank you.

25 RE-EXAMINATION



1 BY MR. MAGGARD:

2 Q. Well, I'd like to make a request for you to look  
3 at the data little bit further and come up with an  
4 estimation of the window prior to the 15:08:01 time  
5 frame with all the devices that are shown on the  
6 screen. I know it may take some time, but I would  
7 like any kind of questions you got as far as what I  
8 know that may help you with doing the time study. I  
9 think this would be very important for us to figure  
10 out a time that the accident occurred, ---

11 A. Okay.

12 Q. --- to get it closer. So I'd be willing to work  
13 both ways to try to figure that out, and I appreciate  
14 you all's help.

15 A. Okay. Well, I'm sure Pyott-Boone is going to be  
16 willing to help in any way. The only --- I think  
17 really the only assistance we'll need is, as I  
18 mentioned, if we can maybe talk to one of the ---  
19 maybe the dispatcher or someone that was, you know, at  
20 the mine that knew what items were communicating and  
21 which were not. With that information, we should be  
22 able to get a really good approximation. At the very  
23 least, we could possibly give you like a worst case,  
24 and it would be somewhere form there or earlier.

25 Q. Yeah. If you could, okay, just give me the worst

1 case starting out and then say, okay, if let's say,  
2 ten tag readers or 20 tag readers weren't working, ---  
3 A. Okay.

4 Q. --- what would that do to that window.

5 A. Okay. Well, if I may propose a suggestion on  
6 that. It might be that it will be good for us maybe  
7 to provide a table, non-functional devices and  
8 functional devices and the estimated time.

9 Q. Yeah. Now, I know on the --- you know, the tag  
10 readers, you could kind of get an idea of which ones  
11 might not have been working, you know, as far as the  
12 dates that they last read, but you can probably make  
13 some assumptions that way. The dispatcher, I know  
14 it's been a long time. You know, it's over six months  
15 since the accident, so I don't know what he could  
16 provide you with.

17 A. Yeah.

18 Q. When we get down to that, we can try to work  
19 something out and ask him some more questions on that.

20 A. Okay.

21 ATTORNEY BABINGTON:

22 Before we close out, let's go on the  
23 record for a quick break.

24 SHORT BREAK TAKEN

25 ATTORNEY BABINGTON:

1 All right. Before we close out, you  
2 provided one document to us on the record, the  
3 tracking boss weekly checklist. That will be marked  
4 A. Godsey One and that will be part of the record of  
5 the interview.

6 (A. Godsey Exhibit One marked for  
7 identification.)

8 ATTORNEY BABINGTON:

9 We discussed the purchase order before.

10 We're not going to accept that document. You're not  
11 going to provide it, and we're not going to accept it  
12 at this time because of proprietary reasons.

13 On behalf of MSHA and the Office of  
14 Miners' Health, Safety and Training, I want to thank  
15 you for appearing and answering questions today. Your  
16 cooperation is very important in the investigation as  
17 we work to determine the cause of the accident. We  
18 request that you not discuss your testimony with any  
19 person, aside from a personal representative or  
20 counsel, or in this case, with other representatives  
21 from Pyott-Boone. After questioning other witnesses,  
22 we may call you if we have any follow-up questions.  
23 If at any time you have additional information  
24 regarding the accident that you'd like to provide to  
25 us, please contact us at the contact information

1 provided. If you wish, you may now go back over any  
2 answer you've given during this interview, and you may  
3 also make any statement that you'd like to make at  
4 this time.

5 A. The only statement that I wish to make is that the  
6 information provided is to the best of my knowledge.  
7 And you know, a lot of the information that I've  
8 provided has been in collaboration with my team. So  
9 if there is something found that was not a hundred  
10 percent accurate, it was not intentional. But for the  
11 most part, I do believe that I've answered all the  
12 questions as accurately as I could.

13 ATTORNEY BABINGTON:

14 Thank you. And again, I want to thank  
15 you for your cooperation in this matter.

16 A. Okay. Thank you.

17 \* \* \* \* \*

18 STATEMENT UNDER OATH CONCLUDED AT 12:20 P.M.

19 \* \* \* \* \*

20

21

22

23

24

25

1 STATE OF WEST VIRGINIA )

2 )

3

4 CERTIFICATE

5 I, Beth A. Duzzny, a Notary Public in and for  
6 the State of West Virginia, do hereby certify:

7 That the witness whose testimony appears in  
8 the foregoing deposition, was duly sworn by me on said  
9 date and that the transcribed deposition of said  
10 witness is a true record of the testimony given by  
11 said witness;

12 That the proceeding is herein recorded fully  
13 and accurately;

14 That I am neither attorney nor counsel for,  
15 nor related to any of the parties to the action in  
16 which these depositions were taken, and further that I  
17 am not a relative of any attorney or counsel employed  
18 by the parties hereto, or financially interested in  
19 this action.



20  
21  
22 *Beth A. Duzzny*  
23  
24  
25

<b>A</b>	<b>Administ...</b> 2:11 5:8	<b>appearance</b> 5:11 10:7	<b>atmospheric</b> 13:23	<b>Barbourv...</b> 2:13
<b>ability</b> 28:1	<b>advance</b> 10:6	<b>appearing</b> 34:15	<b>attached</b> 4:25	<b>basically</b> 10:17
<b>able</b> 13:10 15:17 18:20 19:3 20:7 28:25 30:3 32:22	<b>advisory</b> 27:21 28:1	<b>appears</b> 36:7	<b>attempt</b> 17:7	14:13 29:9 30:1,12
<b>absolute</b> 19:22	<b>affect</b> 16:4 23:13	<b>application</b> 12:11 16:4 26:12	<b>attorney</b> 3:4 3:13 5:3 5:15 6:21 6:24 7:4 7:12,16 8:11,17,22 9:3,7,13 10:21 25:11,18 25:24 26:4 29:11,15 29:19 33:21,25 34:8 35:13 36:14,17	<b>battery</b> 24:9 24:22
<b>AC</b> 27:15	<b>agency</b> 1:26 5:8	<b>appreciate</b> 6:19 10:7 32:13	<b>6:24 7:4</b>	<b>baud</b> 13:21 13:25 14:2 20:8,10,14 30:13,18
<b>Academy</b> 1:9	<b>ago</b> 22:11	<b>approximate</b> 18:21 20:2 20:7	<b>7:12,16</b>	<b>Beaver</b> 1:10
<b>accept</b> 34:10 34:11	<b>agreement</b> 6:10,10	<b>approxim...</b> 12:11	<b>8:11,17,22</b>	<b>beginning</b> 1:11
<b>accessible</b> 16:6	<b>Airport</b> 1:9	<b>approxim...</b> 30:22 31:3 32:22	<b>9:3,7,13</b>	<b>behalf</b> 34:13
<b>accident</b> 5:7 5:20,21 7:21 32:10 33:15 34:17,24	<b>alarm</b> 14:7 14:12,21 14:22 15:1 15:2,10,11 15:13 17:3 17:10,15 18:16 21:4 22:13	<b>April</b> 6:16 13:9 28:10	<b>10:21</b>	<b>behavior</b> 12:15
<b>accidents</b> 9:18	<b>alarms</b> 13:3 16:13,22 17:13 20:11 21:14	<b>APSS</b> 15:8	<b>25:11,18</b>	<b>believe</b> 10:12,14 21:19 35:11
<b>accurate</b> 35:10	<b>algorithm</b> 25:1	<b>architected</b> 15:19	<b>29:11,15</b>	<b>belt</b> 30:24 31:7
<b>accurately</b> 35:12 36:13	<b>allow</b> 27:16	<b>area</b> 11:18	<b>29:19</b>	<b>best</b> 17:14 20:25 35:6
<b>acknowledge</b> 16:5	<b>alluded</b> 17:18	<b>Arlington</b> 2:8	<b>33:21,25</b>	<b>Beth</b> 1:6 36:5
<b>act</b> 6:18 27:17	<b>all's</b> 32:14	<b>arrived</b> 29:9	<b>34:8 35:13</b>	<b>Babington</b> 2:3 3:4,13 5:3,4,15 7:4,12,16 8:11,17,22 9:3,7,13 10:21 25:11,18 25:24 26:4 29:11,15 29:19 33:21,25 34:8 35:13
<b>action</b> 36:15 36:19	<b>amount</b> 13:15 16:21 20:20,22 31:13	<b>aside</b> 9:23 34:19	<b>10:21</b>	<b>Big</b> 5:22 6:15 12:19 13:22
<b>active</b> 18:19	<b>AMS</b> 20:24	<b>asked</b> 10:2 29:6	<b>25:11,18</b>	<b>biofeedback</b> 12:16
<b>activities</b> 6:4	<b>analog</b> 30:24	<b>asking</b> 10:10 31:16	<b>25:24 26:4</b>	<b>bit</b> 14:3 17:17 23:4 30:16 31:8 32:3
<b>actual</b> 21:12 31:16	<b>analysis</b> 13:15	<b>assess</b> 17:25 18:18 30:9 31:21	<b>29:11,15</b>	<b>blinking</b> 27:6,8
<b>Adam</b> 1:3 3:5 10:25 11:7 11:9,11	<b>analyze</b> 20:5	<b>assigned</b> 6:13	<b>29:19</b>	<b>boss</b> 4:4 12:20 26:7 26:12,15 34:3
<b>additional</b> 10:13 34:23	<b>animal</b> 12:15	<b>assistance</b> 6:20 10:7 32:17	<b>33:21,25</b>	<b>bosses</b> 30:24 31:7
<b>address</b> 11:16 15:7	<b>answer</b> 7:6 10:3 18:12 35:2	<b>assuming</b> 17:18	<b>34:8 35:13</b>	<b>bottles</b> 7:8
<b>addresses</b> 17:6	<b>answered</b> 35:11	<b>assumption</b> 19:13	<b>Bachelor's</b> 12:7	<b>Boulevard</b> 2:6
<b>adjust</b> 16:7 21:18	<b>answering</b> 34:15	<b>assumptions</b> 33:13	<b>back</b> 10:22 14:8 16:18 20:21 29:13 35:1	<b>box</b> 21:17
	<b>answers</b> 8:25		<b>background</b> 12:4	<b>Branch</b> 5:23
			<b>bandwidth</b> 19:2 30:16	
			<b>B</b>	

6:15 12:19	24:22	22:18	14:22	7:18
13:22	<b>charging</b>	<b>communic...</b>	15:10 22:8	<b>cooperation</b>
<b>break</b> 7:8	24:9	21:23	27:21 28:2	10:8 34:16
33:23,24	<b>check</b> 16:14	<b>communic...</b>	<b>conditions</b>	35:15
<b>bring</b> 28:23	26:11,19	15:16	6:13 14:7	<b>copy</b> 26:2
<b>button</b> 27:23	26:23,25	17:19	14:12	<b>correct</b> 8:16
<b>bytes</b> 20:4	27:5,12,19	19:14,21	15:15	21:16 22:7
31:1	27:21	20:21	21:12	22:15
	<b>checked</b>	32:20	28:15	30:15
	28:12	<b>communic...</b>	<b>conducted</b>	31:10,12
<b>C</b>	<b>checking</b>	12:20	6:16	31:15
<b>C</b> 2:1 5:1	26:13	13:20,21	<b>conducting</b>	<b>correctly</b>
<b>cable</b> 27:10	<b>checklist</b>	15:4,11,23	5:18	17:19
<b>cables</b> 30:14	4:5 25:7	16:3,11	<b>confiden...</b>	<b>correlation</b>
<b>call</b> 34:22	25:13 26:7	17:11,24	5:23 6:3	20:19
<b>called</b> 12:9	26:10 34:3	20:9 25:4	6:11 7:22	30:21
<b>capabili...</b>	<b>Childress</b>	28:22	7:24 8:15	<b>COs</b> 15:8
23:13	28:11,14	30:14 31:1	<b>confiden...</b>	20:8 21:18
<b>capacity</b>	<b>circumst...</b>	<b>communic...</b>	6:6	<b>Coulbourn</b>
28:17	6:14	14:1,13	<b>configur...</b>	12:9
<b>carbon</b> 24:25	<b>CitiTech</b>	15:7 16:25	16:7 17:5	<b>counsel</b> 9:24
<b>Care</b> 27:24	23:6,11	27:6,7	21:18	34:20
<b>case</b> 17:14	24:8	<b>company</b> 12:9	<b>confirm</b>	36:14,17
17:16 18:5	<b>clearly</b> 10:1	12:14	26:21 27:2	<b>couple</b> 16:7
19:5,10,22	<b>close</b> 18:9	28:20	27:8	<b>course</b> 12:22
32:23 33:1	28:4 30:22	<b>compared</b>	<b>confirmed</b>	<b>court</b> 1:7
34:20	33:22 34:1	20:21	26:13,17	9:25
<b>cause</b> 34:17	<b>closed</b> 14:18	<b>comparison</b>	<b>confirming</b>	<b>criminal</b>
<b>causes</b> 9:16	<b>closer</b> 32:12	20:23	26:17	7:23
9:18	<b>CLOSING</b> 3:12	<b>complete</b>	<b>confused</b>	<b>critical</b>
<b>cell</b> 23:16	<b>code</b> 11:18	9:15	18:4	10:8
23:17,19	<b>collabor...</b>	<b>completely</b>	<b>consider...</b>	<b>cross</b> 21:9
23:21	35:8	7:5 20:16	18:24	28:15
24:17	<b>colored</b>	20:18	<b>considered</b>	<b>current</b>
<b>cells</b> 24:8	26:14,18	<b>computer</b>	28:6	11:24,25
<b>center</b> 27:5	<b>come</b> 17:15	13:12 14:9	<b>consistent</b>	23:23
27:19	20:11	17:8 28:9	22:20	<b>currently</b>
<b>certain</b> 9:1	29:13 30:3	28:12	<b>constitutes</b>	11:11,12
16:24	32:3	<b>concentr...</b>	6:10	22:2
<b>CERTIFICATE</b>	<b>Commerce</b>	15:1 21:4	<b>consult</b> 6:24	<b>cut</b> 15:22
3:16 36:4	2:19	21:12,20	<b>contact</b>	30:19,20
<b>certify</b> 36:6	<b>commit</b> 25:8	22:15 24:4	10:15,15	<b>C-137</b> 1:10
<b>certifying</b>	<b>commonly</b>	24:18	11:15	
1:26	13:24	<b>concentr...</b>	34:25,25	<b>D</b>
<b>change</b> 14:18	<b>communicate</b>	24:12	<b>content</b> 7:18	<b>D</b> 3:1 5:1
21:21	16:18 17:7	<b>CONCLUDED</b>	<b>continues</b>	<b>data</b> 13:11
<b>changed</b>	20:4 22:23	35:18	27:13,19	13:16 14:8
21:20	<b>communic...</b>	<b>conclusion</b>	<b>contribu...</b>	15:3 17:13
<b>changes</b>	14:8,17	7:19	25:2	20:7,10,12
16:20	19:15	<b>condition</b>	<b>conversa...</b>	20:17,21
<b>chargers</b>				

20:22	26:22	<b>director</b>	<b>E</b> 2:1,1 3:1	22:23
22:10, 20	27:21	13:5	5:1,1	<b>events</b> 6:14
31:8 32:3	<b>detection</b>	<b>disclose</b>	<b>earlier</b>	31:11
<b>database</b>	24:19	16:9	31:16	<b>exactly</b> 15:5
16:15	<b>determine</b>	<b>Disconnect</b>	32:24	<b>EXAMINATION</b>
<b>date</b> 36:9	34:17	27:15	<b>education</b>	3:6,8 11:3
<b>dates</b> 33:12	<b>development</b>	<b>disconne...</b>	12:5	29:24
<b>Dave</b> 28:14	11:25 12:2	17:23	<b>effectively</b>	<b>excess</b> 19:19
<b>David</b> 28:10	<b>device</b> 14:24	27:17	20:5	<b>Exhibit</b> 4:1
<b>days</b> 16:21	16:6,13,25	<b>discuss</b> 9:22	<b>efficiently</b>	4:25 34:6
<b>DC</b> 27:2,3	17:9,16,22	34:18	24:5	<b>expect</b> 15:13
<b>dead</b> 17:9	18:3,7	<b>discussed</b>	<b>Either</b> 25:10	16:18
<b>deal</b> 31:6	19:13,20	28:20 34:9	<b>elaborate</b>	<b>experience</b>
<b>December</b>	22:5,14,24	<b>discussion</b>	23:8	12:4 24:11
12:8	31:4,13	10:20	<b>electrical</b>	<b>explain</b>
<b>default</b>	<b>devices</b>	23:15	12:7	20:13
21:19	14:15,16	<b>discussions</b>	<b>electroc...</b>	<b>explained</b>
<b>definitely</b>	15:16,17	28:19	23:17	13:8
24:1	15:20,21	<b>disparity</b>	<b>Electronics</b>	<b>explains</b>
<b>degree</b> 12:7	15:22 16:3	20:25	11:13	10:17
<b>delay</b> 30:1	16:12,16	22:16	<b>employed</b>	<b>explosion</b>
<b>department</b>	16:16	<b>dispatcher</b>	11:11,12	5:23 8:7
2:4 5:6,9	17:18,21	30:8 32:19	11:20 12:3	<b>exposed</b>
12:1,13	17:22	33:13	12:8,14	12:23
<b>depending</b>	18:13,18	<b>displaying</b>	36:17	23:20
14:17 22:8	18:25	26:16	<b>enforcement</b>	<b>exposure</b>
<b>deplete</b> 24:2	19:14,23	<b>distance</b>	6:3,8 8:3	24:1
<b>depleted</b>	19:24 20:3	27:11	<b>engineer</b>	<b>extended</b>
23:22	20:6 28:13	<b>distances</b>	12:11	24:1
<b>depleting</b>	30:9,17,24	28:3,3	<b>engineering</b>	<b>extension</b>
23:19	32:5 33:7	<b>document</b>	11:14 12:1	11:19
<b>deposition</b>	33:8	34:2,10	12:7,12	<b>extensive</b>
36:8,9	<b>de-energ...</b>	<b>doing</b> 16:13	<b>ensure</b> 28:4	13:15
<b>depositions</b>	27:14	31:16 32:8	<b>entry</b> 21:17	<b>extent</b> 7:25
36:16	<b>difference</b>	<b>downloaded</b>	<b>environment</b>	13:7 16:9
<b>DESCRIPTION</b>	30:23 31:2	13:11	21:7	
4:3	31:8	<b>drive</b> 2:19	<b>equipment</b>	<b>F</b>
<b>designed</b>	<b>different</b>	22:1	12:15	<b>fact</b> 16:19
24:6	16:8,22	<b>due</b> 25:2	<b>ESQUIRE</b> 2:3	<b>failed</b> 19:23
<b>desktop</b>	20:3,3,14	<b>duly</b> 10:25	<b>estimated</b>	<b>failing</b>
26:15	20:17	36:8	30:3 33:8	18:13
<b>detail</b> 14:3	30:13,13	<b>duties</b> 11:24	<b>estimation</b>	<b>fair</b> 31:3,5
19:6	30:25	11:25	32:4	<b>familiar</b>
<b>detailing</b>	<b>difficult</b>	12:17	<b>event</b> 13:1,9	12:18,25
9:16	17:17	<b>Duzzny</b> 1:6	13:11 14:4	13:2,4
<b>details</b>	20:19	36:5	14:6,10,22	<b>familiarity</b>
12:24 19:3	<b>directed</b>	<b>dysfunct...</b>	15:1,14	14:10
23:7,9	23:11	17:23	17:1,12	<b>far</b> 12:17
<b>detected</b>	<b>directly</b>		21:6,21	13:1,3,20
26:12,20	13:6	<b>E</b>	22:3,13,18	14:4,10,25



17:1 19:9	<b>frequently</b>	7:10,14	<b>happens</b>	<b>included</b>
21:3 22:14	9:20	8:9,13,20	14:20	7:20 9:20
23:9,12,19	<b>fuel</b> 23:21	8:24 9:5	<b>happy</b> 31:20	<b>including</b>
28:22 32:7	<b>full</b> 11:5	9:11 10:25	<b>hard</b> 25:16	10:4
33:11	<b>fully</b> 10:4	11:7 34:4	<b>head</b> 22:1	<b>independent</b>
<b>faster</b> 18:7	18:19	34:6	<b>Health</b> 1:9	20:18
<b>fastest</b> 18:8	36:12	<b>goes</b> 10:17	2:11,16	<b>indicates</b>
<b>fatalities</b>	<b>function</b>	14:21 19:9	5:8,19	24:17
6:14 9:17	27:13,20	22:15	6:18,19	<b>indicating</b>
<b>fault</b> 16:14	<b>functional</b>	23:12	34:14	23:1
<b>Federal</b> 6:17	17:22	26:11 29:5	<b>hearings</b> 8:7	<b>indicator</b>
<b>feedback</b>	18:19	<b>going</b> 8:15	<b>help</b> 18:5	27:1,8
13:14	30:10 33:8	12:23	19:8 31:21	<b>indicators</b>
<b>feeder</b> 26:9	<b>further</b> 9:9	16:12,13	32:8,14,16	26:23,25
27:10	32:3 36:16	21:24,25	<b>hereto</b> 36:18	27:6
<b>feet</b> 27:9	<b>future</b> 8:6	29:2,3	<b>high</b> 24:1	<b>individual</b>
28:3	9:19	32:15	<b>higher</b> 14:12	27:23
<b>figure</b> 18:15		34:10,11	15:2	<b>individuals</b>
32:9,13	<b>G</b>	34:11	<b>Highway</b> 2:12	9:21
<b>financially</b>	<b>G</b> 5:1	<b>good</b> 30:19	<b>history</b>	<b>information</b>
36:18	<b>Gary</b> 28:20	30:21	26:21	5:24 6:2,5
<b>fine</b> 25:10	29:6	32:22 33:6	<b>hold</b> 29:12	6:7 7:22
25:17,19	<b>gas</b> 21:7,12	<b>Government</b>	<b>honest</b> 18:11	8:5,5,15
25:20,22	21:20	6:12	<b>hope</b> 9:17	9:2,9,19
25:23 26:6	23:24	<b>grabbed</b>	<b>hundred</b>	10:5,11,14
<b>finished</b>	24:23,24	22:10	24:18 35:9	10:16 12:4
10:9	<b>gases</b> 21:9	<b>graduated</b>	<b>hydrogen</b>	13:14 14:9
<b>first</b> 10:25	<b>gathered</b>	12:6	24:9,15,19	21:2 22:19
17:10	5:24	<b>greater</b> 9:17	24:22 25:1	28:21 30:2
20:12	<b>gauge</b> 28:4	<b>green</b> 26:14	25:2	30:4,5,6,7
<b>five</b> 21:15	<b>give</b> 11:15	26:18,24	<b>hydrogen...</b>	31:13,17
21:19,25	12:3 21:1	26:25	24:23	32:21
22:12,22	32:23,25	<b>guess</b> 30:19		34:23,25
22:22	<b>given</b> 15:2	<b>guys</b> 25:8	<b>I</b>	35:6,7
27:16	15:20	<b>G-O-D-S-E-Y</b>	<b>icon</b> 26:18	<b>informed</b>
<b>Floor</b> 2:7	16:19,21	11:8	<b>idea</b> 33:10	13:5
<b>follows</b> 11:1	21:1 23:24		<b>identifi...</b>	<b>inherently</b>
26:11	24:18 35:2	<b>H</b>	34:7	16:2
<b>follow-up</b>	36:10	<b>half</b> 19:23	<b>IDENTIFIED</b>	<b>initial</b> 5:18
34:22	<b>gives</b> 21:4	30:19,20	4:3	<b>initiation</b>
<b>foregoing</b>	22:4	30:20 31:4	<b>identity</b>	22:13
36:8	<b>giving</b> 10:16	31:4	7:18,21,24	<b>input</b> 27:2,3
<b>forget</b> 18:3	<b>go</b> 10:19,22	<b>handled</b> 17:6	<b>illuminated</b>	<b>installed</b>
<b>form</b> 32:24	11:9 13:21	<b>hang</b> 14:16	26:24	13:22
<b>forms</b> 14:18	14:3 17:3	<b>hanging</b>	<b>impact</b> 16:8	<b>instance</b>
<b>forth</b> 20:21	17:20 21:3	14:15	<b>important</b>	14:20
<b>found</b> 35:9	24:14	<b>happen</b> 15:11	10:12 32:9	<b>instrume...</b>
<b>four</b> 19:18	33:22 35:1	<b>happened</b>	34:16	12:16
<b>frame</b> 18:1	<b>Godsey</b> 1:3	17:11	<b>incident</b>	<b>Instruments</b>
32:5	3:5,15 7:2	18:21	18:20	12:10

<b>intact</b> 15:16	7:23	<b>large</b> 15:9	<b>logged</b> 14:9	12:1
<b>integral</b> 12:24	<b>jeopardized</b> 6:4	22:16	14:22	<b>map</b> 26:16,18
<b>integrity</b> 20:17	<b>John</b> 2:15	<b>law</b> 6:8 7:25	<b>logging</b> 13:2	<b>March</b> 11:23
<b>intentional</b> 35:10	5:14 29:23	8:2,3	17:2 22:20	<b>marked</b> 34:3
<b>interested</b> 36:18	<b>judge</b> 8:1	<b>leaky</b> 26:9	<b>logs</b> 14:7	34:6
<b>interpre...</b> 23:16,24	<b>justific...</b> 21:1	27:10	<b>long</b> 11:20	<b>master</b> 14:8
<b>interpre...</b> 21:7	<b>justify</b> 20:19	<b>learned</b> 10:5	16:4 17:25	16:15,17
<b>interview</b> 6:9 7:7,19	<hr/> <b>K</b> <hr/>	<b>Leffel</b> 28:10	<b>longer</b> 16:6	<b>mathemat...</b> 18:20
10:1,13	<b>keep</b> 5:23	<b>letter</b> 10:16	<b>look</b> 13:10	<b>Matt</b> 5:4
34:5 35:2	6:2,10	10:17	14:14	<b>matter</b> 35:15
<b>interviewer</b> 10:3	7:24	<b>let's</b> 10:22	25:16	<b>MATTHEW</b> 2:3
<b>intervie...</b> 9:21	<b>kind</b> 14:3	15:3,21	28:18 32:2	<b>maxed</b> 23:25
<b>interviews</b> 9:20	18:4 23:20	16:24 18:2	<b>looked</b> 13:13	<b>maximum</b> 15:19
<b>investigate</b> 6:13	24:11,13	18:3 29:16	17:25	23:18,23
<b>investig...</b> 5:17,20,21	29:7 30:1	30:11 33:1	<b>looking</b> 14:5	24:3
5:22 6:7	30:3 32:7	33:22	16:12 17:2	<b>mean</b> 21:5
6:16,20	33:10	<b>level</b> 15:2	19:5 26:17	31:18
7:23 9:15	<b>knew</b> 32:20	23:18,24	<b>looks</b> 31:13	<b>meaning</b> 15:15
10:8 19:9	<b>know</b> 12:24	23:25 24:1	<b>loss</b> 15:3,3	<b>means</b> 7:25
34:16	13:18	24:4	17:10,13	16:2
<b>investig...</b> 8:7	14:11	<b>levels</b> 14:11	20:12	<b>members</b> 5:16
<b>investig...</b> 5:7	16:17	23:13	<b>lost</b> 16:25	5:19,20
<b>investig...</b> 6:12	18:12,12	<b>liberty</b> 18:11	<b>lot</b> 12:18	6:7
<b>irregularly</b> 27:18	19:2,10	<b>lie</b> 31:2	18:23	<b>mentioned</b> 28:11
<b>issue</b> 9:15	20:5 21:1	<b>light</b> 26:14	24:15 35:7	32:18
20:3	23:12,24	<b>limited</b> 14:11 21:1	<b>loudly</b> 10:1	<b>Michael</b> 1:3
<b>item</b> 26:19	24:4,13	<b>line</b> 14:1	<b>low</b> 23:12	3:5 10:25
26:23	25:7 30:9	15:12,22	<hr/> <b>M</b> <hr/>	11:7
<b>items</b> 32:20	30:23,25	15:23	<b>Maggard</b> 2:10	<b>Mill</b> 11:17
<hr/> <b>J</b> <hr/>	31:4 32:6	<b>linear</b> 30:22	3:7,11 5:7	<b>million</b> 24:7
<b>Jasey</b> 2:10	32:8,19	<b>linearly</b> 20:2	11:4 25:14	24:15,18
5:6,18	33:9,9,11	<b>list</b> 14:24	25:21	24:20
<b>jeopardize</b>	33:13,14	<b>lit</b> 26:25	29:17,21	<b>mind</b> 25:25
	33:15 35:7	<b>little</b> 12:4	32:1	28:16
	<b>knowing</b> 15:9	14:3 17:17	<b>maintain</b> 16:3 17:24	<b>mine</b> 1:8 5:7
	<b>knowledge</b> 8:16 13:7	23:4 30:16	<b>maintenance</b> 25:5	5:19,23
	29:3,6	31:8,17	<b>making</b> 10:9	6:17 12:19
	35:6	32:3	<b>manager</b> 11:14	12:20,21
	<b>known</b> 28:2	<b>log</b> 13:9,11	<b>managing</b> 12:1	13:12,23
	<b>knows</b> 22:12	14:4,10,23	<b>manufact...</b> 23:6	26:12,15
	<b>KY</b> 2:13	15:14	<b>manufact...</b> 23:15	26:15,18
	<hr/> <b>L</b> <hr/>	17:12 21:6	24:17	28:21
	<b>Labor</b> 2:4	21:21 22:3	<b>manufact...</b> 23:15	32:20
	5:6,9	22:13,18	24:17	<b>Miner</b> 2:11
		22:23	<b>manufact...</b> 23:15	<b>Miners</b> 2:16
		26:21	<b>manufact...</b> 24:17	6:19 34:14
		33:14		

<b>mines</b> 10:9	28:4 30:4	6:1	<b>outside</b>	23:7 26:9
<b>Mine-South</b>	30:7,8	<b>officials</b>	15:12	<b>phone</b> 11:18
6:15	31:21	6:9	<b>oxygen</b> 23:12	<b>pick</b> 28:1
<b>minute</b> 10:19	32:17	<b>okay</b> 7:11	23:13	<b>picked</b> 28:2
<b>minutes</b>	<b>needed</b> 31:8	8:21 9:4,6		<b>places</b> 12:3
19:16,17	<b>needs</b> 31:21	9:8,12,14	<hr/> <b>P</b> <hr/>	<b>please</b> 7:15
19:17,18	<b>neighbor...</b>	12:6 13:1	<b>P</b> 2:1,1 5:1	10:1,2,3
19:19	15:18	13:9 14:7	<b>Page</b> 4:1,2	10:14,23
20:11	17:21	14:25 15:6	10:15	11:5,6
21:15,19	<b>neither</b>	15:9 16:11	<b>pages</b> 28:24	12:5 34:25
21:25 22:7	36:14	18:2,8,13	<b>parameters</b>	<b>Plus</b> 20:20
22:11,12	<b>non-func...</b>	18:22 19:4	16:8	<b>point</b> 8:18
22:22,22	33:7	19:16,20	<b>part</b> 21:11	11:15
27:16	<b>normal</b> 15:15	19:23 20:2	26:5 34:4	13:15
<b>Model</b> 26:24	21:11	21:3,20,23	35:11	14:19 15:2
<b>module</b> 26:14	<b>Norman</b> 10:15	21:25 22:6	<b>particip...</b>	16:10 17:8
<b>monitor</b>	<b>North</b> 11:17	22:21 23:3	5:22	19:8
13:23 21:7	<b>Notary</b> 1:7	24:8 26:6	<b>particip...</b>	<b>points</b> 9:1
24:6,6,24	36:5	26:8,10	6:9	15:7
<b>monitored</b>	<b>Notice</b> 1:6	28:6,8	<b>particular</b>	<b>pop</b> 14:21
21:13	<b>number</b> 4:3	29:10	12:14	<b>port</b> 16:11
<b>monitoring</b>	11:16,18	30:11	14:23 16:6	<b>possibly</b>
13:24	15:20 17:7	32:11,15	23:7	32:23
24:25,25	17:24	32:25 33:1	<b>parties</b>	<b>potential</b>
<b>monoxide</b>	<b>numbers</b> 20:3	33:3,5,20	36:15,18	7:23
24:25		35:16	<b>parts</b> 20:14	<b>power</b> 26:23
<b>months</b> 33:14	<hr/> <b>O</b> <hr/>	<b>once</b> 18:14	24:6,14,18	26:24,25
<b>moved</b> 14:24	<b>O</b> 5:1	<b>ones</b> 33:10	24:19	27:1,2,13
16:22 27:9	<b>OATH</b> 1:1	<b>ongoing</b> 6:3	<b>passed</b> 22:12	27:15,15
<b>MSHA</b> 5:8 6:1	35:18	<b>opened</b> 14:18	<b>Pennsylv...</b>	27:17,20
6:17,23	<b>obtained</b>	<b>OPENING</b> 3:3	12:9	<b>preclude</b> 6:6
9:15 13:14	9:19	<b>operate</b> 24:5	<b>people</b> 5:9	<b>predict</b>
34:13	<b>occupies</b>	<b>operating</b>	<b>percent</b>	15:10
<b>multiple</b>	19:1	15:15	35:10	16:21
28:5	<b>occur</b> 28:17	21:11	<b>performance</b>	<b>prefer</b> 23:14
	<b>occurred</b>	<b>operation</b>	23:9	<b>prejudiced</b>
<hr/> <b>N</b> <hr/>	6:15 15:10	16:20	<b>period</b> 18:16	6:4
<b>N</b> 2:1,3 3:1	18:17	<b>operational</b>	23:20	<b>premature</b>
5:1	20:13	20:6	<b>permission</b>	6:5
<b>name</b> 5:4 8:1	32:10	<b>opinion</b> 19:4	28:25	<b>present</b> 5:9
8:2,3 11:5	<b>occurrence</b>	19:11	<b>permitted</b>	5:17 6:22
11:6,7	9:18	<b>opinions</b>	6:23 7:25	27:3
<b>narrow</b> 19:24	<b>occurs</b> 14:6	23:16	<b>person</b> 5:10	<b>presents</b>
<b>National</b> 1:8	<b>October</b> 1:11	<b>opportunity</b>	9:23 34:19	22:17
<b>nation's</b>	5:5	10:10	<b>personal</b>	<b>pressing</b>
10:9	<b>Office</b> 2:5	<b>order</b> 16:20	6:21,23,25	27:22
<b>nature</b> 9:16	2:16,18	16:22,23	9:23 34:19	<b>pressure</b>
<b>need</b> 8:2,4	5:5 6:18	28:21 34:9	<b>personally</b>	23:10,12
8:25 19:2	34:13	<b>ordered</b> 29:9	13:6	<b>pressures</b>
20:5 22:13	<b>officially</b>	<b>orders</b> 8:1	<b>pertaining</b>	21:10 23:3

<b>pretty</b> 30:18 30:22	<b>provide</b> 8:5 8:6 10:11	8:14 10:2 10:4 23:10	30:23 31:2 32:17,22	<b>reporter</b> 1:7 9:25
<b>price</b> 29:7	12:25 23:5	27:25 28:8	<b>reason</b> 16:1	<b>reports</b> 9:20
<b>Primarily</b> 13:16	23:15 24:3 24:23	29:22	<b>reasons</b> 34:12	<b>represen...</b> 6:23,24
<b>prior</b> 18:16 19:12 32:4	28:24 33:7 33:16	<b>questioning</b> 5:18 34:21	<b>recall</b> 10:13	7:1 9:23 34:19
<b>priorities</b> 14:4,10 16:20	34:11,24	<b>questions</b> 8:12 10:10	<b>received</b> 20:23,24 22:4	<b>represen...</b> 34:20
<b>priority</b> 14:11,12 14:19,23 15:3 16:23	<b>provided</b> 10:16 13:13 34:2 35:1,6,8	32:7 33:19 34:15,22 35:12	<b>receives</b> 22:19	<b>reproduc...</b> 1:24
<b>probably</b> 15:6 18:9 23:10 31:3 33:12	<b>provides</b> 5:25	<b>quick</b> 15:10 15:13 33:23	<b>recommended</b> 25:5	<b>request</b> 7:8 7:21,24 9:22 32:2 34:18
<b>problem</b> 29:18 31:18	<b>providing</b> 13:16 21:8 28:20	<b>quicker</b> 15:24 18:6	<b>record</b> 5:12 6:25 9:25 10:19,20 10:22 11:6 23:1 25:9 25:15 26:5 29:1,5 33:23 34:2 34:4 36:10	<b>requested</b> 13:17
<b>procedure</b> 25:6	<b>public</b> 1:7 7:19,20 8:16,23 9:15 29:3 29:6 36:5	<hr/> <b>R</b> <hr/>	23:1 25:9 25:15 26:5 29:1,5 33:23 34:2 34:4 36:10	<b>require</b> 31:1
<b>proceeding</b> 36:12	<b>pull</b> 15:17	<b>R</b> 2:1 5:1	23:1 25:9 25:15 26:5 29:1,5 33:23 34:2 34:4 36:10	<b>requirement</b> 6:6
<b>process</b> 7:19	<b>pulled</b> 16:17 22:5	<b>range</b> 27:23 27:24 28:5	23:1 25:9 25:15 26:5 29:1,5 33:23 34:2 34:4 36:10	<b>requires</b> 8:2 17:20 24:24
<b>produce</b> 23:23	<b>purchase</b> 28:21 34:9	<b>rate</b> 30:18 30:19	<b>recorded</b> 14:5 36:12	<b>research</b> 12:2,15
<b>product</b> 11:25	<b>purposes</b> 8:3	<b>rates</b> 13:21 20:14 30:13	<b>red</b> 27:2	<b>response</b> 16:18 18:8
<b>products</b> 12:25	<b>pursuant</b> 1:6	<b>reach</b> 23:22	<b>reduce</b> 9:18	<b>rest</b> 19:21
<b>program</b> 22:22	<b>push</b> 27:23	<b>reactions</b> 21:10	<b>refuse</b> 7:6	<b>restrict</b> 23:14
<b>programmed</b> 21:14	<b>put</b> 22:3,13 26:1,6 29:1	<b>read</b> 21:6 25:8,15 26:1 33:12	<b>regard</b> 28:13	<b>restricted</b> 29:4
<b>programming</b> 13:1,6	<b>puts</b> 22:11	<b>reader</b> 26:14 26:17 27:4 27:8,11,22 27:24,25	<b>regarding</b> 28:9 34:24	<b>reveal</b> 8:1,2 8:3
<b>prohibited</b> 1:25	<b>putting</b> 29:7	<b>readers</b> 15:8 20:9,11 26:10,11 26:16,20 27:1,7,17 28:5 33:2 33:2,10	<b>Regional</b> 2:5 2:18	<b>re-energ...</b> 27:20
<b>promoted</b> 12:12	<b>Pyott-Boone</b> 11:12,21 11:22 12:14,17 23:5 31:20 32:15 34:21	<b>reader's</b> 28:1	<b>related</b> 36:15	<b>RE-EXAMI...</b> 3:10 31:25
<b>properly</b> 27:25 30:18	<b>Pyott-Bo...</b> 26:8	<b>reading</b> 26:22	<b>relative</b> 36:17	<b>re-launch</b> 21:15
<b>propose</b> 33:5	<b>P.M</b> 35:18	<b>really</b> 16:21 18:11,12 20:4 23:8	<b>relatively</b> 22:19	<b>right</b> 11:9 17:14 19:22 20:8 29:22 34:1
<b>proprietary</b> 9:1,9 31:19 34:12	<hr/> <b>Q</b> <hr/>		<b>release</b> 6:5 <b>released</b> 6:1 8:19	<b>road</b> 1:9 8:23 9:14 11:17
	<b>quantify</b> 21:8		<b>remain</b> 7:21	<b>room</b> 1:10 5:17
	<b>question</b> 7:6		<b>remaining</b> 19:14	<b>run</b> 13:25
			<b>repair</b> 27:5 27:19	
			<b>rephrase</b> 10:3	
			<b>report</b> 7:20 9:16 17:8	

27:16	30:18	28:11,22	<b>station</b> 14:9	20:17,20
<b>runs</b> 14:2	<b>Section</b> 6:17	<b>sitting</b>	16:17	20:22,24
	<b>see</b> 16:15	15:12	<b>stations</b>	22:8 23:5
<hr/> <b>S</b> <hr/>	17:2 20:10	<b>six</b> 33:14	24:9	25:6 26:8
<b>S</b> 2:1 5:1	20:10	<b>size</b> 18:9,10	<b>stopped</b> 9:1	27:1,7,12
<b>safer</b> 10:9	21:21 29:8	<b>slow</b> 16:1	<b>strictly</b>	27:16,19
<b>Safety</b> 1:9	30:11,11	<b>slower</b> 18:6	8:15	28:22
2:11,17	<b>seen</b> 18:9	<b>software</b>	<b>structure</b>	30:10,12
5:7,19	22:14	14:5,7	14:14 31:1	30:13
6:18,19	24:12,14	21:14,24	<b>study</b> 32:8	<b>systems</b>
34:14	<b>send</b> 27:4,11	<b>Solicitor</b>	<b>stuff</b> 29:8	12:25
<b>sales</b> 12:10	27:18	2:5 5:6	<b>subchannel</b>	
<b>sampled</b>	<b>sensitive</b>	<b>soon</b> 14:8	26:13	<hr/> <b>T</b> <hr/>
14:19	24:9,22	<b>South</b> 2:12	<b>subjected</b>	<b>table</b> 33:7
<b>saturated</b>	<b>sensitivity</b>	<b>speak</b> 10:1	23:19	<b>tabs</b> 26:13
23:25	21:9	30:8	<b>subseque...</b>	<b>tag</b> 15:7
<b>saying</b> 15:1	<b>sensor</b> 21:24	<b>specialists</b>	17:12	20:9,11
15:5 19:20	22:1,3	6:12	<b>subtracts</b>	26:10,11
21:25	23:5,6,8	<b>specialized</b>	25:2	26:14,16
<b>scan</b> 14:23	24:21	12:15	<b>suggestion</b>	26:17,20
16:23	<b>sensors</b> 21:3	<b>specific</b>	33:5	26:22 27:1
17:20	21:9 23:13	23:8 25:12	<b>Suite</b> 2:20	27:4,6,8
<b>scanned</b>	24:13,24	<b>specific...</b>	<b>supplies</b>	27:11,17
14:20	31:7	26:7	26:24	27:22,23
<b>scanner</b>	<b>separate</b>	<b>specified</b>	27:13,15	27:24,25
14:15,16	14:1 30:12	27:10	27:20	28:1,5,5
14:17	<b>sequential</b>	<b>speed</b> 13:19	<b>supply</b> 24:21	33:2,2,9
15:17,20	16:19	13:19	<b>support</b>	<b>tags</b> 26:19
16:7,16	<b>Sergeant</b>	<b>spell</b> 11:5	28:17	26:21 28:2
17:6 18:25	28:20	<b>spelled</b> 11:8	31:20	29:7
20:17	<b>service</b> 19:1	<b>standard</b>	<b>sure</b> 11:7	<b>take</b> 16:5
<b>scanners</b>	27:4,5,11	14:13	32:15	18:14 27:4
30:25	27:12,18	<b>start</b> 10:19	<b>surrounding</b>	27:11,18
<b>scanning</b>	<b>set</b> 13:25	<b>started</b>	6:14	32:6
16:24 17:1	14:4 15:2	11:23	<b>swear</b> 10:23	<b>taken</b> 1:6
<b>scans</b> 31:11	<b>settings</b>	<b>starting</b>	<b>sworn</b> 10:25	18:24 19:1
31:14	16:4 17:5	33:1	36:8	27:24
<b>Scott</b> 2:15	<b>severed</b>	<b>state</b> 1:8	<b>system</b> 12:18	33:24
3:9 5:13	15:12,23	5:10,11,21	12:20,20	36:16
5:14 29:25	<b>sharing</b> 6:7	6:2 11:5	12:21 13:3	<b>talk</b> 9:8,10
31:23	<b>SHORT</b> 33:24	36:1,6	13:10,19	21:25
<b>screen</b> 21:4	<b>show</b> 14:21	<b>stated</b> 30:17	13:19,20	25:13
22:11 32:6	15:13	<b>statement</b>	13:22,23	29:13,16
<b>script</b> 7:17	<b>shown</b> 22:2	1:1 3:3,12	13:24,25	32:18
10:18	28:9 32:5	3:14 5:25	14:1,14	<b>talked</b> 23:3
<b>second</b> 26:19	<b>signific...</b>	6:22 7:5	15:6,9,19	30:16
<b>seconds</b>	18:7	10:11 35:3	16:2,5	<b>talking</b>
15:18,24	<b>similar</b>	35:5,18	17:20,23	14:25
17:15,18	23:21	<b>statements</b>	18:9,18,25	<b>Tazewell</b>
17:21 18:4	<b>site</b> 13:12	6:1	20:15,16	11:13,17

<b>team</b> 5:17, 20 5:21 6:7 35:8	12:22 19:17 20:11 22:11	<b>true</b> 36:10 <b>truthfully</b> 28:15	<b>variables</b> 18:23	26:1,1 32:17
<b>Tech</b> 12:6		<b>try</b> 32:13	<b>verified</b> 26:20	<b>we're</b> 34:10 34:11
<b>technical</b> 13:5	<b>Thursday</b> 1:10	33:18	<b>versus</b> 20:24	<b>we've</b> 10:9 13:16 20:8 20:9
<b>telephone</b> 11:15	<b>time</b> 6:25 7:7,8	<b>trying</b> 16:2 22:23	<b>Virginia</b> 1:8 1:10 2:16 5:11,21 6:2,18 11:13,18 12:6 36:1 36:6	<b>willing</b> 32:12,16 <b>Wilson</b> 2:6 <b>window</b> 14:21 18:16 19:11,24 32:4 33:4
<b>tell</b> 13:18 23:4 25:4	10:12 12:8 17:19,25 18:15,16 18:19,21 19:9,11 22:9 23:20 28:9,12,19 30:1,3,9 30:20 31:4 31:17 32:4 32:6,8,10 33:8,14 34:12,23 35:4	<b>turn</b> 29:23 <b>two</b> 19:17 20:14,19 20:25 24:24 28:24	<b>voltage</b> 23:23 <b>volts</b> 27:2 <b>voluntarily</b> 5:25 <b>voluntary</b> 7:6	<b>witness</b> 35:1,5 <b>witness</b> 3:5 5:24,25 9:19 10:23 36:7,10,11 <b>witnesses</b> 34:21 <b>Wittens</b> 11:17 <b>work</b> 12:18 16:14 17:1 17:4 21:16 32:12 33:18 34:17 <b>worked</b> 12:10 12:13 <b>working</b> 30:8 30:17 33:2 33:11 <b>works</b> 13:3 <b>worst</b> 17:16 18:5 19:5 19:10,22 32:23,25 <b>wouldn't</b> 31:18 <b>WV</b> 2:21
<b>telling</b> 22:21		<b>type</b> 12:18 23:4		
<b>temperat...</b> 21:10				
<b>ten</b> 19:19 24:14 27:9 27:16 33:2				
<b>termed</b> 13:24				
<b>terminals</b> 27:3,4				
<b>terminate</b> 7:7				
<b>terms</b> 14:19				
<b>test</b> 27:25 28:6				
<b>tested</b> 27:22				
<b>TESTIFIED</b> 11:1				
<b>testimony</b> 9:22 34:18 36:7,10				
<b>thank</b> 7:5 10:6 11:20 28:8 29:23 31:24 34:14 35:14,14 35:16				
<b>things</b> 16:23 25:12 29:2				
<b>think</b> 16:8 18:14 22:16,17 28:16 29:6 29:14 31:18,20 32:9,16				
<b>third</b> 19:23 26:23				
<b>three</b> 11:22				
	<b>times</b> 17:7 17:24 <b>today</b> 5:4,17 7:1 28:23 34:15 <b>tolerant</b> 16:14 <b>track</b> 26:10 <b>tracking</b> 4:4 12:21 13:20,25 20:16,20 20:23 25:5 26:7,8 28:22 30:12 34:3 <b>Training</b> 2:17 6:19 34:14 <b>transcribed</b> 36:9 <b>transcript</b> 1:24 8:18 <b>tree</b> 14:14 16:15 <b>tremendous</b> 20:20 <b>tries</b> 17:23	<b>understand</b> 8:8 10:2 17:13 28:10 <b>understa...</b> 23:22 <b>unnecessary</b> 19:2 <b>unoperat...</b> 19:15 <b>updated</b> 22:18 <b>Upper</b> 5:22 6:15 12:19 13:22 <b>upstream</b> 15:23 <b>use</b> 8:4 23:6 23:17 24:17 28:3 <b>useful</b> 10:14 <b>U.S</b> 2:4,12 5:6,8	<b>U</b> <b>UBB</b> 13:10 <b>Uh-huh</b> 19:7 22:25 <b>wait</b> 17:3 <b>want</b> 34:14 35:14 <b>wanted</b> 25:13 29:8 <b>watches</b> 28:13 <b>water</b> 7:9 <b>way</b> 15:19 22:6 25:10 32:16 33:13 <b>ways</b> 32:13 <b>weekly</b> 4:5 26:7 28:6 34:3 <b>went</b> 10:18 20:6 22:10 28:23 <b>weren't</b> 33:2 <b>Wes</b> 28:10 <b>West</b> 1:8,10 2:7,16 5:10,21 6:2,18 36:1,6 <b>Westover</b> 2:18,21 <b>we'll</b> 9:21	<b>W</b> <b>Wittens</b> 11:17 <b>work</b> 12:18 16:14 17:1 17:4 21:16 32:12 33:18 34:17 <b>worked</b> 12:10 12:13 <b>working</b> 30:8 30:17 33:2 33:11 <b>works</b> 13:3 <b>worst</b> 17:16 18:5 19:5 19:10,22 32:23,25 <b>wouldn't</b> 31:18 <b>WV</b> 2:21 <b>X</b> <b>X</b> 3:1 17:24 <b>Y</b> <b>yeah</b> 7:15 20:16 22:8 22:9 25:23
		<b>V</b> <b>VA</b> 2:8 <b>value</b> 21:5,5 21:21 22:2 22:4 <b>values</b> 21:6		

26:3,6	<b>29</b> 3:7,9			
29:14				
32:25 33:9	<hr/> <b>3</b> <hr/>			
33:17	<b>31</b> 3:9,11			
<b>year</b> 12:11	<b>32</b> 15:18,24			
<b>years</b> 11:23	17:14,17			
12:22	17:21 18:4			
<b>year-and...</b>	30:18			
12:12	<b>320</b> 13:25			
<hr/> <b>1</b> <hr/>	20:8 30:18			
<b>1</b> 2:20	<b>320-baud</b>			
<b>10</b> 3:4	15:17			
<b>10:30</b> 1:11	<b>33</b> 3:11			
<b>103(a)</b> 6:17	<b>34</b> 3:13 4:5			
<b>107</b> 24:6	<b>35</b> 3:13,15			
<b>11</b> 3:7	<b>36</b> 3:16			
<b>1100</b> 2:6	<b>3837</b> 2:12			
<b>12:20</b> 35:18	<hr/> <b>4</b> <hr/>			
<b>127</b> 15:17	<b>4,800</b> 14:2			
16:12	20:10			
30:17,20	<b>40</b> 15:21,22			
31:7,7	18:3,13			
<b>1301</b> 1:9	<b>40906</b> 2:13			
<b>14</b> 1:11 2:19	<hr/> <b>5</b> <hr/>			
<b>14th</b> 5:5	<b>5</b> 3:4			
<b>1459</b> 11:17	<b>5th</b> 6:16			
<b>15:08</b> 19:9	13:9 28:10			
<b>15:08:01</b>	<hr/> <b>7</b> <hr/>			
17:11	<b>700</b> 28:3			
18:15 32:4	<hr/> <b>9</b> <hr/>			
<b>1925</b> 26:24	<b>97</b> 12:8			
<hr/> <b>2</b> <hr/>	<b>988-5505</b>			
<b>20</b> 24:19	11:19			
33:2				
<b>200</b> 15:6,21				
<b>2007</b> 11:23				
<b>2010</b> 1:11				
5:5 6:16				
<b>22nd</b> 2:7				
<b>22209-2247</b>				
2:8				
<b>229</b> 11:19				
<b>24</b> 27:2				
<b>24-volt</b> 27:3				
<b>25E</b> 2:12				
<b>25630</b> 11:18				
<b>26501</b> 2:21				
<b>276</b> 11:19				