

* * * * *

PUBLIC HEARING

ON THE

SAGO MINE DISASTER

May 2, 2006 - May 4, 2006

* * * * *

May 4, 2006

* * * * *

West Virginia Wesleyan College
Rockefeller Physical Education Center
Buckhannon, West Virginia

* * * * *

REPORTER: Miranda D. Elkins

Any reproduction of this transcript is
prohibited without authorization by the
certifying agency.

Page 997	Page 999
1 A P P E A R A N C E S	1 A P P E A R A N C E S
2	2
3 DAVITT MCATEER,	3 BENNETT HATFIELD,
4 Chair	4 President/CEO, ICG
5 BRIAN MILLS,	5 CECIL ROBERTS,
6 Inspector at Large, WVMSHT	6 Family Representative
7 MONTE HIEB,	7
8 Mining Engineer	8
9 JOHN UROSEK,	9
10 Ventilation Expert, MSHA	10
11 DAN MEREDITH,	11
12 Son-In-Law, James Bennett	12
13 RAY MCKINNEY,	13
14 Administrator, MSHA	14
15 ED CLAIR,	15
16 Associate Solicitor, MSHA	16
17 CHRIS WEAVER,	17
18 Presenter	18
19 RUSSELL BENNETT,	19
20 Son, Marty Bennett	20
21 JAMES DEAN,	21
22 Director, WVMHST	22
23 DEBBIE HAMNER,	23
24 Wife, George Hamner	24
25	25
Page 998	Page 1000
1 A P P E A R A N C E S	1 I N D E X
2	2
3 MIKE RUTLEDGE,	3 STATEMENTS
4 Safety Instructor, WVMHST	4 By Chair 1001 - 1002
5 PAM CAMPBELL,	5 By Mr. Gates 1002 - 1005
6 Sister-In-Law, Marty Bennett	6 By Mr. Mills 1005 - 1007
7 AMBER HELMS,	7 By Mr. Gates 1007 - 1029
8 Daughter, Terry Helms	8 By Mr. Hieb 1029 - 1033
9 PEGGY COHEN,	9 By Mr. Gates 1033 - 1035
10 Daughter, Fred Ware	10 By Mr. Hieb 1035 - 1045
11 ANN MEREDITH,	11 By Mr. Gates 1045 - 1046
12 Daughter, James Bennett	12 By Mr. Urosek 1046 - 1055
13 PAM WINANS,	13 QUESTIONS OF PANEL SIX 1055 - 1205
14 Wife, Marshall Winans	14 CLOSING STATEMENTS
15 SARA JANE BAILEY,	15 By Chair 1205 - 1208
16 Daughter, George Hamner	16 By Mr. Bennett 1209 - 1210
17 DELEGATE MIKE CAPUTO,	17 By Ms. Campbell 1210 - 1212
18 Delegate, WV	18 By Ms. Helms 1212 - 1215
19 SENATOR DON CARUTH,	19 By Ms. Cohen 1215 - 1219
20 Senator, Mercer	20 By Ms. Meredith 1219 - 1222
21 DELEGATE EUTACE FREDERICK,	21 By Ms. Winans 1222 - 1223
22 Delegate, WV	22 By Ms. Bailey 1223 - 1228
23 DELEGATE WILLIAM HAMILTON,	23
24 Delegate, WV	24
25	25

Page 1001

I N D E X

1

2

3 CLOSING STATEMENTS

4 By Delegate Caputo 1228 - 1231

5 By Senator Caruth 1231 - 1233

6 By Delegate Frederick 1233 - 1234

7 By Delegate Hamilton 1234 - 1237

8 By Mr. Hatfield 1238 - 1246

9 By Mr. Roberts 1246 - 1255

10 By Mr. Dean 1255 - 1257

11 By Mr. McKinney 1257 - 1260

12 By Chair 1260 - 1262

13 CERTIFICATE 1263

14

15

16

17

18

19

20

21

22

23

24

25

Page 1003

1 CHAIR:

2 I think, Richard you're

3 going to go first.

4 MR. GATES:

5 Okay. Good. Mr.

6 Chairman, panel members, Sago families

7 and other distinguished guests. My

8 name is Richard Gates, and I am an MSHA

9 district manager in Birmingham,

10 Alabama. I'm also the chief

11 investigator assigned to the Sago mine

12 investigation. I'm a mining engineer,

13 originally from a small farming and

14 coal mining community in southern

15 Illinois, where I started my career.

16 I've worked in mine

17 safety matters for MSHA at field

18 locations throughout the United States,

19 as well as at MSHA's headquarters in

20 Arlington, Virginia. I have over 20

21 years of mine safety & health

22 experience.

23 As some of you know, the

24 Mine Safety & Health Administration is

25 a U.S. Department of Labor agency

Page 1002

P R O C E E D I N G S

1 -----

2

3 CHAIR:

4 I'd ask us to stand for a

5 moment of silence followed by a prayer

6 and the pledge of allegiance.

7 MOMENT OF SILENCE

8 PRAYER RECITED

9 PLEDGE OF ALLEGIANCE RECITED

10 CHAIR:

11 We'll begin. We'll begin

12 with our sixth panel today, and this is

13 the combined MSHA and West Virginia

14 Miners' Health, Safety & Training

15 investigative panel of the Sago Mine

16 explosion, led by Richard Gates and

17 Brian Mills, respectively, who's

18 accompanied by John Urosek and Monte

19 Hieb and Mike Rutledge from the state.

20 And I need to swear --- ask this panel

21 to be sworn in again. Ms. Elkins,

22 please. If you would stand. Thank you.

23 -----

24 WITNESSES SWORN EN MASSE

25 -----

Page 1004

1 charged by Congress to inspect mines,

2 promulgate and enforce mine safety

3 standards and to investigate mine

4 accidents, such as the explosion at the

5 Sago Mine.

6 Under that authority,

7 MSHA conducts interviews, physical

8 investigations and inspections of

9 mines, issues mine safety & health

10 violations and accident reports to

11 inform miners, their families and the

12 mining industry about mine accident

13 investigation findings that will assist

14 in preventing future accidents and in

15 protecting the safety and health of the

16 nation's miners.

17 We at MSHA appreciate the

18 difficulty of the families and friends

19 of the miners who lost their lives, or

20 were injured in this explosion. I've

21 spoken to many family members and

22 appreciate the concerns and comments

23 that they have expressed to me. I

24 assure you that the MSHA investigation

25 team working jointly with the team from

Page 1005

1 the West Virginia Office of Miners'
2 Health, Safety & Training, is doing
3 everything we can to determine the root
4 cause of what happened and what might
5 prevent such a tragedy from happening
6 again.
7 We welcome the
8 opportunity to tell you about our
9 investigation and our progress so far,
10 as well as our plans for the future.
11 To accomplish this, we have prepared a
12 PowerPoint presentation for you.
13 As I mentioned, my name
14 is Richard Gates, and I am the accident
15 team leader, a team of individuals,
16 highly-trained individuals and
17 specialists from throughout the United
18 States was put together to investigate
19 this accident. John Urosek, who is on
20 the panel here to my right. Cleve
21 Stephan from the ventilation division
22 and tech support. Richard Stoltz,
23 Dennis Swentosky, Joseph O'Donnell,
24 Gary Harris and Russell Dresch.
25 The team's also been

Page 1006

1 assisted by the Office of the
2 Solicitor, James Crawford, Tim Williams
3 and Robert Wilson.
4 The team's also been
5 assisted by many other MSHA engineers
6 and specialists from various districts
7 throughout the country and our
8 technical support groups in
9 Triadelphia, West Virginia and
10 Bruceton, Pennsylvania.
11 MR. MILLS:
12 Mr. Chairman, I'm Brian
13 Mills, inspector at large of Region One
14 of the West Virginia Office of Miners'
15 Health, Safety & Training. With me
16 today are Monte Hieb, chief engineer,
17 and Mike Rutledge, safety instructor,
18 Region Four, Oak Hill.
19 Former director Doug
20 Conaway created an investigation team
21 to represent the West Virginia Office
22 of Miners' Health, Safety & Training.
23 The initial team consisted of Doug
24 Conaway, former director, myself; Monte
25 Hieb, chief engineer; Mike Rutledge,

Page 1007

1 mine safety instructor; John Scott,
2 electrical inspector, mine rescue team
3 member; John Hall, electrical
4 inspector, mine rescue team member;
5 John Collins, district inspector; Jeff
6 Bennett, district inspector, mine
7 rescue team member; Barry Fletcher,
8 roof control inspector, mine rescue
9 team member, and Robert True, Jr.,
10 district inspector.
11 Additional West Virginia
12 Office of Miners' Health, Safety &
13 Training personnel have been --- have
14 participated in the investigation, are
15 Bennie Comer, electrical inspector;
16 Phil Adkins, safety instructor; Jim
17 Hodges, safety instructor, Region
18 Three; John Cruse, technical analyst,
19 Region Four; Dave Stuart from the
20 Attorney General's office, and James
21 Dean, the acting director.
22 Mr. Rutledge's initial
23 set assignment was to provide
24 photographic support for the
25 investigation team. He later was

Page 1008

1 assigned to conduct the interviews of
2 persons called to testify.
3 Mr. Hieb's primary
4 responsibility is to provide technical
5 assistance throughout the investigative
6 effort. To date, approximately 320
7 inspection shifts by the West Virginia
8 Office of Miners' Health, Safety &
9 Training employees have been committed
10 to the Sago Mine recovery and the
11 investigation of the accident.
12 Sago Mine is located
13 approximately 5.9 miles from
14 Buckhannon, West Virginia.
15 MR. GATES:
16 Twenty-nine (29) miners
17 were in the mine when the explosion
18 occurred at approximately 6:26 a.m. on
19 January 2nd, 2006. All of the miners,
20 with the exception of one, appeared to
21 have initially survived the explosion.
22 Sixteen (16) miners exited the mine
23 safely, including the One Left crew,
24 examiner and pumpers, who were in
25 various parts of the mine. You can see

Page 1009

1 the arrows are showing the locations in
2 the mine where the miners were when the
3 accident occurred and how they ---
4 where they were at when they exited the
5 mine.
6 One miner was found near
7 the Two Left switch in direct line of
8 the forces and gases from the
9 explosion, and the 12 miners from the
10 Two Left crew did not exit but
11 barricaded themselves near the face of
12 the Number Three entry in the Two Left
13 section.
14 The old Two Left main
15 seals were installed to isolate the
16 active area from the sealed area. This
17 was accomplished by the construction --
18 - or with the construction of ten Omega
19 block seals.
20 Sealing is and has been a
21 common practice in the mining industry.
22 When mining is discontinued in an area
23 of the mine, mine operators often
24 construct permanent seals to isolate
25 this area.

Page 1010

1 An explosive
2 concentration of fuel was ignited in
3 the sealed area inby the Two Left
4 section. And these seals were totally,
5 totally destroyed from the forces of
6 the explosion. And as you can see from
7 the arrow, the arrow's depicting the
8 seals blown in an outward direction
9 from within the sealed area.
10 The investigation
11 activities began on January 2nd, 2006,
12 and some members of the investigation
13 team were onsite and involved in the
14 rescue and recovery efforts.
15 Information and evidence gathering
16 began immediately.
17 The underground portion
18 of the investigation was delayed due to
19 recovery efforts at the mine. They
20 began on Thursday, January 26th, 2006.
21
22 There were several things
23 that had to take place to make the mine
24 safe for the investigation team to
25 enter. Water was pumped, the mine was

Page 1011

1 subsequently ventilated, explored and
2 examined before the teams, the accident
3 investigation teams entered the mine.
4 In the time frame between
5 the event and between the underground
6 portion of the investigation beginning,
7 interviews of miners, mine rescue team
8 members and officials began on January
9 17th, 2006. The last interview to date
10 was completed on April 5th, 2006. The
11 interview of Randal McCloy has not yet
12 been completed, and additionally there
13 will be officials or some of the
14 consultants from ICG will also be
15 interviewed in the future.
16 To date 74 interviews of
17 70 individuals had occurred, and we
18 continue to read and research through
19 the several thousand pages of
20 transcripts. As some of you have had,
21 there are a lot of you who have had
22 access to those --- to those documents.
23 You've realized that there is, in
24 fact, some conflicting information
25 contained in the --- in the

Page 1012

1 transcripts, and the investigation team
2 continues to compare that information
3 to other information that we've
4 obtained from other sources to try to
5 determine what's accurate and what is
6 not.
7 Of the 74 --- or the 70
8 individuals who have been interviewed
9 includes 16 of the 17 survivors who
10 were in the mine at the time of the
11 accident. I'm not going to read all of
12 that to you, but there were three MSHA
13 inspectors with inspection activities
14 at the seals, two MSHA mine rescue team
15 personnel, nine industry mine rescue
16 team personnel, medical professional,
17 six members of the West Virginia Office
18 of Miners' Health, Safety & Training, a
19 former miner now employed by Massey who
20 worked on the seals, two miners who
21 worked in the old Two Left section
22 while it was inactive --- while active
23 mining was going on to try to obtain
24 some information from them as to the
25 conditions when the mining was going on

Page 1013

1 in that area.
2 The owner of an
3 engineering firm responsible for
4 surveying and mapping, an electrical
5 contractor, and the four individuals
6 who had the --- had the most knowledge
7 and the most exposure to the seal
8 building --- seal building in the old
9 Two Left were called back for
10 additional information.
11 We'll talk a little bit
12 about a series of tests that we are
13 conducting with the --- in conjunction
14 with NIOSH, at their Lake Lynn
15 laboratory, and it involves
16 construction of seals. And once we
17 started that process, we found that
18 there was, in fact, some additional
19 information, or more questions that
20 needed to be asked to try to determine
21 exactly how those seals were built.
22 Some of the major issues
23 that the accident investigation team
24 continues to look at were --- and I
25 guess that's one thing I'd like to say

Page 1014

1 now, is to emphasize --- and I'll
2 reiterate a time or two as we go
3 through today, that the accident
4 investigation is, in fact, ongoing. As
5 I said, we started on January 2nd,
6 we're still analyzing the data that we
7 have, still looking at the evidence,
8 performing tests. So some of the
9 things that we may talk about today,
10 are what we know to date, but that's
11 not any --- not any promise that what
12 we say today won't be affected by ---
13 down the road when we obtain more
14 information or when we've had a chance
15 to digest some of the information that
16 we have now.
17 As I said, issues
18 concerning the explosion include, what
19 were the activities of the miners, who
20 were they, where were they, what were
21 they doing, where did the explosion
22 start, what was the fuel for the
23 explosion, what was the ignition
24 source, why did the seals fail.
25 Other issues that the

Page 1015

1 team continues to look at are the gas
2 detection equipment, including the
3 detectors that were carried by the
4 miners in the mine at Sago, and also
5 the atmospheric monitoring system that
6 was in place along the belt line in the
7 mine. The self-contained self-rescuers
8 that the miners carried, and the
9 overall training that was provided to
10 the miners at the mine.
11 As you've seen in some of
12 the earlier panel presentations, some
13 layouts of the Sago Mine, and you have
14 been told and have seen that it's
15 approximately two miles from the portal
16 of the mine into the sealed
17 --- where the seals were constructed.
18 And just a little bit farther than
19 that, to the One Left section and the
20 Two Left working section.
21 Prior to the accident on
22 January 2nd, pre-shift examiners
23 entered the mine to conduct their
24 examination. At approximately 6:00
25 a.m., the One Left and Two Left crews

Page 1016

1 entered the mine. And what we have
2 here is a little video clip of an
3 actual mantrip that's used in the mine,
4 it's a battery-powered mantrip that
5 operates on rail. And we'll show it as
6 it enters the mine, just to give the
7 folks who have not had
8 --- not had the experience of traveling
9 underground, a feel for --- a feel for
10 what it looks like and feels like to
11 proceed into the mine.
12 VIDEO SHOWN
13 MR. GATES:
14 The Two Left crew entered
15 the mine at approximately 6:00 a.m.,
16 followed by the One Left crew. And
17 there was a slight delay
18 --- a slight delay for the One Left
19 crew, as they had to obtain another
20 mantrip with additional room for a few
21 extra people who were traveling into
22 the mine on that particular day.
23 And a little animation
24 clip just to show the relation of the
25 two mantrips as they entered into the

Page 1017

1 mine.
2 At approximately 6:14
3 a.m. the First Left crew drops off John
4 Boni at the One Right switch.
5 At about 6:19 a.m. the
6 One Left crew drops off Pat Boni near
7 the Four belt head.
8 At approximately 6:26
9 a.m., the First Left crew arrives at
10 the section switch, which is a device
11 on the track that enables the mantrip
12 to make the turn to go into the
13 section.
14 Flip the switch, and got
15 back in the mantrip. At approximately
16 6:26 an explosion occurred in the old
17 Two Left seals, damaging all the seals
18 as well as ventilation controls for
19 approximately 1,000 feet in the Second
20 Left and Two north mains.
21 Multiple lightning
22 strikes also occurred near the mine
23 around this time. As you can see on
24 the mine map, the ventilation controls
25 that are damaged are depicted with

Page 1018

1 arrows showing the direction of the
2 forces that caused them to be damaged.
3 After the explosion, at
4 about 6:28 a.m., the First Left crew
5 gets out of their mantrip and begin to
6 travel outby in heavy dust and smoke.
7 And what we've put
8 together here is based on the testimony
9 that we have from the interviews, how
10 the miners from the One Left crew
11 proceeded out the mine. And it's using
12 --- again, using the best information
13 that we had available to us.
14 Crosscut 37, at 6:35
15 a.m., the One Left crew hears the pager
16 phone, and Owen Jones tells the
17 dispatcher of the events. The One Left
18 crew with the exception of Jones,
19 travels through a door into the primary
20 escapeway where the air is clear and
21 continued traveling outby.
22 Misters Grall and
23 Abington advance ahead of the group.
24 And while this is going on, some of the
25 miners in the One Left crew have donned

Page 1019

1 the SCSRs that they were carrying with
2 on their belt, others have not.
3 The miners continue to
4 travel outby in a group. Again, you
5 can see the timeline or the clock
6 depicted on the lower left-hand corner
7 of the screen.
8 At crosscut 27 the miners
9 hear a mantrip that's coming in from
10 the portal, and at about 7:05 a.m. all
11 of the One Left crew, with the
12 exception of Misters Grall and Abington
13 hear the trip coming, and traveled
14 through a door at 27 crosscut into the
15 track entry. Misters Wilfong, Boni and
16 Hofer start to take the One Left crew
17 outside on the mantrip. Misters Toler
18 and Schoonover, who were on the mantrip
19 coming into the mine, remained
20 underground to assess the situation.
21 Mr. Grall and Abington
22 waited at the Number Nine crosscut
23 until the mantrip arrives and then exit
24 the mine in the mantrip with the rest
25 of the One Left crew.

Page 1020

1 The One Left crew with
2 Mrs. Wilfong, John Boni and Hofer
3 continued traveling outby, arriving at
4 the surface at approximately 7:30 a.m.
5 At about 7:50 a.m.
6 Misters Wilfong and Hofer re-enter the
7 mine on a mantrip with supplies.
8 Additional SCSRs, additional gas
9 detectors and supplies, as far as
10 curtains, spads, nails, hammers to
11 assist --- to assist, as I say here.
12 At 8:10, they come back
13 into the mine with these supplies and
14 meet, Toler, Schoonover and Jones at 32
15 crosscut. They repair regular ---
16 repair stoppings with curtains and
17 proceed inby with the mantrip to the 42
18 crosscut.
19 At the 42 crosscut,
20 Wilfong, Hofer, Toler, Schoonover and
21 Jones disconnect the batteries of the
22 mantrip and travel into the intake with
23 supplies. They repair stoppings with
24 curtain and start methodically
25 traveling inby in the intake entries,

Page 1021

1 repairing the stoppings between the
2 intake and belt as they travel inby.
3 As you can see, depicted
4 with the single black line, as the
5 miners are traveling inby repairing the
6 damaged ventilation controls.
7 On the way inby at 49
8 crosscut, Toler crosses into the track
9 entry and enters into the belt entry to
10 retrieve the mine phone at the belt
11 head. He observes a reading of
12 approximately 700 parts per million
13 carbon monoxide in the track entry.
14 Mr. Toler extends the
15 phone line into the intake entry and
16 re-attaches the phone.
17 Wilfong, Hofer, Toler,
18 Schoonover and Jones make it to 57
19 crosscut by hanging ventilation
20 curtain. Mistert Jones and Hofer are
21 sent outby to retrieve more supplies
22 and to check for stoppings or controls
23 that may have been missed on the way
24 in.
25 One of the issues with

Page 1022

1 using the animation is, if you --- it's
2 hard to stop and start. If you get a
3 little ahead of yourself, you have to
4 go back and run through a little ---
5 run through some things again. So I
6 apologize for the repetition.
7 As I mentioned, once they
8 arrived at the 57 crosscut, Jones and
9 Hofer are sent outby for more supplies
10 and to check for controls that may have
11 been missed on the way in. Toler,
12 Wilfong and Schoonover attempt to make
13 it to Number 58 crosscut, but are
14 unsuccessful due to the amounts of
15 smoke and high levels of carbon
16 monoxide.
17 They try to contact the
18 Two Left crew for about 20 minutes by
19 shouting and yelling and received no
20 response. Then they make a decision to
21 leave the mine by the intake entry,
22 because of the dense smoke and carbon
23 monoxide inby the 57 crosscut.
24 There were also some
25 discussions about the possibility of a

Page 1023

1 second explosion occurring, and the
2 problems that they were having trying
3 to clear the smoke in that area. So
4 the decision was made to exit the mine.
5 And at approximately 10:35 a.m.,
6 Toler, Wilfong, Jones, Schoonover and
7 Hofer exit the mine.
8 Just to give you an idea
9 of what we were talking about or what I
10 was talking about when we showed the
11 miners going --- proceeding inby and
12 fixing or dressing the ventilation
13 controls, what you can see in the upper
14 left-hand corner are the permanent
15 stoppings, and this is an actual
16 picture from inside the mine that shows
17 --- shows the damaged stopping.
18 This particular stopping
19 was constructed of concrete block, and
20 you can see, as Chris is showing with
21 the cursor, the piece of the stopping
22 that's left in place. And the blocks
23 that have been displaced by the forces
24 of the explosion.
25 When the gentlemen were

Page 1024

1 proceeding inby, they were repairing or
2 attempting to repair this damage by
3 installing curtains. And just to give
4 you an idea, I mean, the curtains are a
5 temporary means of directing the air
6 and can be used in temporary
7 situations.
8 So where did the
9 explosion start? In order to determine
10 that, the investigators continue to
11 look at the activities of the miners,
12 as we just showed earlier, who were
13 they, where were they and what were
14 they doing? The physical evidence that
15 was gathered inby and outby the sealed
16 area, the testimony from the 70 persons
17 that were interviewed, the likelihood
18 of fuel for the explosion, both inby
19 and outby the seals, as well as the
20 likelihood of ignition sources, both
21 inby and outby the seals.
22 And one thing, as I
23 mentioned early on in the first couple
24 of slides, that, in fact, the
25 investigation did begin on January 2nd.

Page 1025

1 We didn't get into the mine until
2 January 26th. And in the interim,
3 there was a lot of --- a lot of
4 speculation about what had happened, a
5 lot of media attention and a lot of ---
6 I guess a lot of unconfirmed reports
7 about things at the mine.
8 One thing that myself, as
9 well as all the accident investigation
10 team members, we made a commitment to
11 ourselves not to be unduly influenced
12 by some of the speculation that was
13 there and form our own opinions based
14 on the observations that we made in the
15 mine, and based on the information that
16 we had gathered firsthand.
17 The results of the
18 investigation indicate that the
19 explosion was initiated inby the seals
20 in the old Two Left section. How do we
21 arrive at this? We showed a slide
22 earlier that, in fact, all of the seals
23 were blown in an outby direction,
24 indicating that the forces came from
25 within. That methane accumulated inby

Page 1026

1 the seals, and that any methane
2 accumulations that may have occurred
3 outby the seals would have been diluted
4 by the ventilation currents in the
5 mine.
6 What are the possible
7 sources of fuel for the explosion?
8 Methane and coal dust are the two.
9 Methane is a colorless, odorless gas
10 that's lighter than air and explosive
11 in methane air concentrations in 5 to
12 15 percent.
13 Coal dust is very
14 explosive, and can, in fact, propagate
15 explosions when suspended. The
16 final two seals of the ten were
17 completed on January --- or excuse me,
18 on December 11th of 2005. For the next
19 22 days, methane accumulated inby the
20 seals. And we are continuing to
21 evaluate the accumulation in the sealed
22 area.
23 One bit of information
24 that was necessary to determine the
25 percentages, or the concentrations of

Page 1027

1 methane was to determine the volume of
2 the area inby the seals. And this was
3 done by taking survey data that was
4 obtained while the mining was going on
5 in the old Two Left section, as well as
6 survey information that was taken
7 during the investigation.
8 As we had talked --- and
9 some of the other panels had discussed,
10 the parts of the old Two Left section
11 were bottom mined, and this, in fact,
12 made determining the volume a bit more
13 difficult, as some of the areas had
14 accumulated water, some were up to
15 probably 18-feet high.
16 The volume of the sealed
17 area was determined to be a bit over
18 four million cubic feet.
19 Methane --- the methane
20 is continuing to be evaluated. We
21 continue to look at the examination
22 records of the concentrations that were
23 in the atmosphere while mining was
24 occurring inby the old Two Left seals.
25 We looked at the gas wells that were

Page 1028

1 in that area. Those have been
2 discussed in some of the earlier panels
3 to see if they could have contributed
4 to the methane accumulation.
5 And the team also
6 conducted two liberation investigations
7 of the sealed area. One on February
8 7th through the 9th, and the second on
9 March 2nd and 3rd. And the preliminary
10 information from those two
11 investigations indicates a daily
12 liberation rate of approximately 14,000
13 cubic feet.
14 And just to put this in a
15 bit of perspective, I guess, the mine
16 is --- as you heard earlier, averaged
17 approximately 100,000 cubic feet per
18 day liberation. The area inby the
19 seals we looked at is approximately
20 14,000. Some mines throughout the
21 country, in some of the gasier coal
22 seams have a tendency or do, in fact,
23 liberate methane in excess of 10 to 100
24 times this liberation. So just to put
25 it in a bit of perspective, as I

Page 1029

1 mentioned, some mines may, in fact,
2 liberate more than ten million cubic
3 feet of methane per day.
4 Coal dust as a
5 contributor to the explosion, we looked
6 at the testimony and information that
7 was gathered during the interviews,
8 looked at the mine records while mining
9 was ongoing in that area, then we
10 conducted a mine dust survey to
11 determine the incombustibility content
12 in areas inby and outby the seals.
13 An alcohol coke test was
14 also --- was also completed, and
15 results indicate that the flame from
16 the explosion ended somewhere in the
17 vicinity of the old Two Left seals.
18 To kind of summarize the
19 --- summarize the fuel category, we do
20 have the information from the
21 liberation studies, and looking at that
22 as well as the volume inby the sealed
23 area does indicate the potential for
24 explosive mixtures. And also indicates
25 that methane was the primary fuel for

Page 1030

1 the explosion, although coal dust may
2 have, in fact, participated in the
3 event.
4 The investigation, as I
5 mentioned, determined that the
6 explosion was initiated inby the old
7 Two Left seals, and that the forces
8 within the sealed area all appear to
9 propagate in directions from an area
10 near spads 4010, 4011, 4047 and 4048,
11 as you see depicted by the red circle
12 in the arrow.
13 MR. HIEB:
14 The square pans, which
15 are also called spider plates are
16 commonly used for supplemental roof
17 support. As shown here, they are
18 basically a thin metal plate that
19 provides additional passive support to
20 the area immediately around the bolt.
21 They prove to be an important tool, as
22 well, in attributing the blast forces
23 back in the various areas behind the
24 seals during the explosion.
25 A typical configuration

Page 1031

1 of this roof support system at Sago
2 Mine consists of a roof bolt used in
3 conjunction with an eight-inch bolt
4 plate, and a 16-inch square pan or
5 spider plate. Roof mesh, as shown here
6 under the spider plate is also
7 frequently used, but primarily limited
8 to the belt entry, the track entry and
9 the primary escapeway.
10 The direction and
11 intensity of the spider plate and bolt
12 plate bending assisted the flames and
13 forces, investigation team in
14 interpreting the direction and
15 intensity of the blast forces.
16 You can see the bottom
17 picture has a bent corner, and some of
18 these were bent less, some were bent
19 more. So from that, you can infer
20 velocity of the blast that came by this
21 plate, and also, you can infer the
22 blast direction. This slide shows one
23 bend, many plates showed multiple
24 bends. By looking at the sequence of
25 bending and which bends were over the

Page 1032

1 top of other bends, you can reconstruct
2 a sequence of blast forces.
3 Because this is rather
4 subjective, care had to be taken to not
5 base too much on one isolated plate.
6 So populations of plates were examined
7 together to make judgments about
8 forces.
9 Other information to
10 interpret the patterns of a single and
11 multiple force direction were used,
12 such as pockets of compacted coal and
13 soot and clay pins and spaces between
14 pans and the roof.
15 As discussed yesterday,
16 the deformations and deflections of L-
17 shaped steel belt hangers were recorded
18 in seal location --- selected locations
19 in and around the sealed area during
20 the investigation in order to make some
21 empirical determinations about the
22 degree of bending, and estimate
23 pressures and velocities of forces.
24 The illustration here was in the Number
25 Five entry in the vicinity of blown

Page 1033

1 Omega seal Number Six, and includes
 2 both a plan view and a profile view of
 3 the orientation of the belt hangers
 4 showing the three dimensional
 5 information necessary to calculate four
 6 spectors and assess the amount of
 7 inflicted structural deformation.
 8 Well, I would just
 9 recognize that this data does not
 10 provide 100 percent reliable
 11 information. It does serve its purpose
 12 in helping quantify and document the
 13 direction and magnitude of forces in a
 14 way that when viewed statistically can
 15 be used to supplement our understanding
 16 of the sequence and magnitude of
 17 explosion forces.
 18 After this sample study
 19 area was compiled and distributed, ICG
 20 kindly provided the survey personnel
 21 and equipment necessary to continue
 22 this work. And so this mapping has
 23 been performed over most of the
 24 remainder of the sealed area where the
 25 belt hangers were present.

Page 1034

1 Other clues used to
 2 determine blast direction and magnitude
 3 include wire mesh breakdown areas. And
 4 the severity of damage in post-
 5 explosion geometry of ventilation
 6 controls, such as this cinder block
 7 stopping.
 8 MR. GATES:
 9 The minimum temperature
 10 to ignite an explosive methane air
 11 mixture is approximately 1,000 degrees
 12 Fahrenheit. It can easily be ignited
 13 by weak electrical spark, frictional
 14 spark, heated surface or an open flame.
 15 And I know one of the panels yesterday
 16 mentioned that the amount of energy
 17 required to do this is approximately .3
 18 millijoules. Just to put that .3
 19 millijoules in perspective, it's --- .3
 20 --- you can generate .3 very easily by
 21 --- with a person walking across carpet
 22 on a dry day. The static electricity
 23 that may be generated due to that
 24 walking across the dry carpet. This
 25 would put the .3 millijoules into

Page 1035

1 perspective.
 2 Lightning strikes on the
 3 surface may have been conducted under -
 4 -- conducted underground through the
 5 mine electrical system, including the
 6 high voltage cable, the equipment and
 7 structures. It would also include the
 8 conveyor belt, the mine track, as it
 9 proceeded from the outside to the
 10 portal inby to Two --- a stopping just
 11 outby the old Two Left seals. The
 12 surface mine telephone communication,
 13 gas wells and interconnected piping
 14 between the wells, the mine watering
 15 system and also, as was discussed
 16 yesterday, the possibility of lightning
 17 proceeding through this track.
 18 Again, as we discussed in
 19 great detail yesterday, it was a
 20 possibility of lightning as an ignition
 21 source. And one of the other sources
 22 that the MSHA and West Virginia
 23 investigation teams continue to explore
 24 is a possibility of roof falls as an
 25 ignition source to the event.

Page 1036

1 Other ignition sources
 2 were looked at early on. As I
 3 mentioned, we came into the
 4 investigation without any preconceived
 5 notions, started looking at the
 6 equipment starting on the surface, and
 7 as we worked our way into the mine,
 8 examined all of the electrical
 9 equipment, all of the mining equipment
 10 as we moved in to determine whether or
 11 not it may have had an impact on the
 12 event.
 13 The two sources that we
 14 continue to investigate are lightning
 15 and roof falls.
 16 MR. HIEB:
 17 Okay. What I'll briefly
 18 address is the information we have
 19 about the possible role of lightning in
 20 the explosion. This information is
 21 preliminary and is being shared at this
 22 time at the request of the parties
 23 present here today. It is not meant to
 24 exclude consideration of other ignition
 25 scenarios.

Page 1037

1 As discussed earlier, the
2 explosion appears to have originated in
3 a particular part of the sealed area.
4 And this is some distance back from the
5 seals themselves. This area is
6 approximately under 300 feet depth of
7 cover. That's distance to the surface,
8 and almost two miles away from the
9 closest known lightning strike.
10 The primary questions
11 which beg answers are, number one, what
12 makes lightning a persistent suspect in
13 the explosion. And two, how could
14 lightning enter the mine?
15 The first piece of
16 evidence is the timing between the
17 explosion and the lightning. And this
18 is the most important one. On this
19 illustration the --- on this
20 illustration, a little note tag
21 pointing to the red line is pointing at
22 the Omega seals. The big tag is
23 pointing to the location of the CO
24 monitor at 57 block. The CO monitors
25 are linked to a computer outside in the

Page 1038

1 mine dispatcher's office.
2 The CO monitor log shows
3 that at 6:31 and 31 seconds on the
4 morning of January 2nd an alarm tripped
5 at a CO monitor at this location.
6 Within seconds, this monitor and others
7 nearby red lined at 107 parts per
8 million then went offline.
9 The explosion is believed
10 to have occurred at the beginning of
11 this sequence. As part of our
12 investigation, the accuracy of the
13 clock for the CO monitor computer was
14 tested, comparing it to a GPS clock.
15 An independent consultant was hired to
16 perform this work on January 14th,
17 2006. At this time, a discovery was
18 made that the computer clock was
19 running four minutes and 56 seconds
20 fast. This places the actual corrected
21 time of the 51 part per million CO
22 spike at 57 block at approximately 6:26
23 and 35 seconds on the morning of
24 January 2nd.
25 And independent analysis

Page 1039

1 of a subtle seismic event recorded by
2 Martin Chapman, as it was mentioned
3 yesterday of Virginia Tech, was from
4 the seismograph station near
5 Morgantown, West Virginia. This was
6 also pegged through the GPS clock time
7 run by the folks that maintain that
8 piece of equipment.
9 And it apparently showed
10 a disturbance, which could have been
11 from Sago between one to five seconds
12 later. Next slide.
13 At least two, perhaps
14 three lightning strikes were recorded
15 by companies that examine and document
16 that information near Sago Mine at that
17 time. These strokes are shown in this
18 slide as locations one, two, three.
19 Next slide.
20 The first stroke was
21 recorded at 6:26:35.522 seconds, and is
22 located approximately 1.2 miles south
23 of the Sago Mine portal. It registered
24 a positive 38.8 killiamps on the
25 National Lightning Detection Network,

Page 1040

1 as interpreted by Vaisala. Next one.
2 The second stroke
3 occurred a fraction of a second later,
4 approximately one mile northwest of the
5 Sago Mine portal. It registered a very
6 large 101 killiamps on the National
7 Lightning Detection Network.
8 The third strike location
9 was recorded by the U.S. Precision
10 Lightning Network, and interpreted by
11 WeatherBug at a location approximately
12 one half mile south of the Sago Mine
13 portal. Its timing appears to be
14 precisely the same as strike number
15 two, and very close to the same
16 magnitude or amperage.
17 On January 6th, 2006,
18 physical evidence of a direct lightning
19 strike was discovered and documented at
20 strike location number two. This is
21 the large 101 killiamp hit. A large
22 Poplar tree showing obvious lightning
23 damage was found very close to
24 coordinates supplied by Vaisala, and
25 was quickly located in the field using

Page 1041

1 a handheld GPS unit. This is a
2 photograph of this tree taken on
3 January 6th. A spiral gash runs from
4 the base of the tree to what is left of
5 the top of its trunk. A debris field
6 of wood, which splintered away from
7 this tree strike covers a radius of
8 approximately 150 feet.
9 No physical damage due to
10 lightning has been found at strike,
11 locations one or three, despite
12 multiple field searches. Because the
13 time corrected 51 part per million CO
14 monitor event is so close to the time
15 of the confirmed lightning strike,
16 literally to the nearest second, we
17 found this circumstantial evidence
18 significant and difficult to dismiss.
19 Subsequently, an
20 inventory of utility and transmission
21 lines was begun to determine if
22 metallic conductors exist between the
23 confirmed lightning strike and Sago
24 Mine, specifically, the sealed area at
25 Sago Mine.

Page 1042

1 But with the cooperation
2 of the overlying oil and gas operators
3 in the area, we began compiling a map
4 of the network of active gas lines and
5 all known gas wells, both active and
6 abandoned, in the area to determine if
7 any connection exists with the Poplar
8 tree strike.
9 While several active and
10 abandoned gas wells occurred near the
11 sealed area, there are no casings known
12 at this time which actually penetrate
13 the mine works. So far no other
14 boring, such as coreholes, boreholes or
15 water wells are known to have
16 penetrated into the sealed mine works
17 at the time of the explosion.
18 We have also looked at
19 conductors leading from the vicinity of
20 the Poplar tree to the Sago Mine
21 portals.
22 This is the 12.4
23 killivolt private power line, leading
24 from the substation at French Creek to
25 the preparation plant and Sago Mine.

Page 1043

1 This line passes within 300 feet or so
2 of the Poplar tree.
3 Likewise, a public
4 telephone line passes very near the
5 Poplar tree and extends to the mine
6 office at Sago Mine.
7 Investigations are
8 ongoing into the possibility that
9 voltage or current may have entered the
10 electrical conductors or grounding
11 systems of one or both of these utility
12 lines, either as A, the result of
13 direct transfer of electrical energy
14 from the lightning strike, or B, the
15 result of induced electrical energy due
16 to the magnetic flux of the lightning
17 discharge in close proximity.
18 Once at the portal, this
19 electrical energy could have been
20 transferred into the mine via belt
21 structure or track. This, too, is
22 being investigated at this time.
23 The possibility that
24 voltage may have entered the mine
25 directly over the sealed area by other

Page 1044

1 means is also being investigated.
2 Wire roof mesh is used at
3 Sago Mine as a supplemental roof
4 support in the track, belt and primary
5 escapeway entries. However, at the far
6 end of the sealed area, wire mesh was
7 installed universally over a sizeable
8 area, whereby the roof and all entries
9 and all crosscuts were covered in
10 continuous wire mesh with a few
11 exceptions.
12 This represents several
13 miles of contiguous eight-gauge wire
14 bound together with the supporting roof
15 bolts, plates and pans in a sizeable
16 concentrated metal mass.
17 Areas inby the seals
18 where the roof was wire meshed are
19 shown here in green and blue. The blue
20 shaded area at the top end was under
21 water at the time of the explosion.
22 A dewater pump remains
23 abandoned at the end of this water
24 pool. Approximately 1,350 feet of one-
25 inch cable runs from this pump outby

Page 1045

1 along the old track entry where it
2 terminates at a cathed or coupler near
3 spad 4011.
4 Where this cable
5 terminates at the coupler is in the
6 vicinity of where the explosion is
7 believed to have originated. Because
8 the pump control box is believed to
9 have been underwater at the time of the
10 explosion, the cable is likely to have
11 been electrically common with the wire
12 mesh at that time.
13 It is currently being
14 investigated, whether this arrangement
15 of wire mesh could have been an
16 attractive target for stray lightning
17 penetrating the earth through geologic
18 fracture zones, or perhaps by an
19 abandoned well casing that so far has
20 gone undetected.
21 Alternately, the possible
22 role of electromagnetically-induced
23 currents and voltage into the wire
24 mesh, pump and cable remains to be
25 investigated.

Page 1046

1 In addition, we continue
2 to evaluate the other potential
3 ignition causes besides lightning.
4 MR. GATES:
5 An anomaly in the mine
6 roof was discovered near spad 4010 in
7 the sealed area. And this is the area
8 where the direction of forces indicate
9 it could have been near the source of
10 the event.
11 On two different
12 occasions, samples from this mine
13 anomaly were removed from the mine roof
14 and sectionalized for analysis. And
15 this was discussed a little bit
16 yesterday from one of the other panels.
17
18 The MSHA analysis of the
19 pin section samples that were
20 collected, revealed fossil-like
21 characteristics and no signs of
22 re-crystallization, or any other
23 effects that could have been
24 contributed to lightning or could have
25 contributed to the event. And I know

Page 1047

1 there was a picture that was shown
2 yesterday, and just another
3 characterization of that area.
4 MR. HIEB:
5 As indicated, roof falls
6 are still under investigation. And
7 indicated here are a cluster of roof
8 falls that occurred at different times.
9 Actual timing is rather subjective,
10 and a matter of interpretation, but
11 these are currently under review.
12 MR. UROSEK:
13 I'd like to talk to you a
14 little bit about the seals and some of
15 the work that we're conducting in that
16 area. As we all know, the seals failed
17 catastrophically in this event. A
18 little history is that the federal
19 regulations do require that all areas
20 of a coal mine either be ventilated or
21 sealed.
22 The regulations also
23 state that to seal an area off, it can
24 be constructed of solid concrete
25 blocks. And it specifies in the

Page 1048

1 regulations how that method can be
2 accomplished. It also states that
3 there's alternative methods that can be
4 used to seal up an area.
5 And in '92, a program was
6 started with the Bureau of Mines to
7 actually evaluate different methods,
8 alternative methods that are
9 acceptable. And this was conducted
10 through a series of tests at the Lake
11 Lynn Mine of these various different
12 types of seals. And it was actually
13 tested with explosions to actually
14 determine how these seals would hold
15 up.
16 The actual 40-inch Omega
17 block seals that were used at the Sago
18 Mine were tested as a separate program
19 in 2001 as part of a rapid sealing
20 program developed by NIOSH.
21 Now, where did the 20 psi
22 come from that we currently use to test
23 these seals? That's based on research
24 that was done by the U.S. Bureau of
25 Mines from back into the early '70s and

Page 1049

1 previous to that. They provided the
2 guidance, and that was the information
3 that MSHA used to make the
4 determination that the 20 psi was
5 appropriate.
6 It's also based on
7 explosion experience. Explosions that
8 had actually occurred within the mining
9 industry since that time in the
10 investigation of those accidents.
11 Some of the things that we're
12 doing, we have a number of plans to
13 actually determine what happened to
14 these seals. We're actually going to
15 conduct laboratory analysis of the
16 blocks, not only from the Sago Mine,
17 but from blocks --- Omega blocks
18 located at the various plants at
19 various mines throughout the country.
20 We're going to do compressive strength
21 testing and other evaluations of those.
22 We're going to do an
23 analysis of the mortar joints,
24 especially the mortar at the bottom
25 where the seals were first started,

Page 1050

1 along the floor. We're going to be
2 doing some further testing in the mine
3 and evaluating that.
4 A major focus, however,
5 will be on full-scale explosion
6 testing. Now, some of the things that
7 we need to determine by this explosion
8 testing, did, indeed, the explosion
9 pressure at the Sago Mine exceed 20 psi
10 and cause the failure. Were the seals
11 properly constructed? Were the
12 construction materials used to build
13 those seals made of substandard
14 materials? The cribs that were located
15 inby the seals, did they contribute to
16 the failure? Or a combination of any
17 these are what we're looking at.
18 Currently we've conducted
19 one of the tests at the Lake Lynn Mine.
20 It was conducted on April the 15th.
21 The first test was primarily to retest
22 the Omega block seal that was first
23 approved in 2001 in the same manner
24 that it was approved then.
25 That test is complete,

Page 1051

1 and it shows that that seal, as tested
2 in 2001, did pass the test in 2006. It
3 was exposed to a pressure of 23 psi,
4 and it did pass the leakage test prior
5 to that.
6 As part of that, a second
7 seal was also tested. We called it a
8 hybrid seal. Some of the construction
9 methods used at the Sago Mine were
10 different than was specified in the
11 2001 approval for this type of method.
12 We used some of those differences in
13 this test, but we did not use all of
14 them.
15 As we were constructing
16 the hybrid seal, we learned a lot about
17 how the seal could be constructed and
18 the way it was constructed at the Sago
19 Mine. So what we did is, we went back
20 and we re-interviewed some of the folks
21 that actually built that seal to get
22 specific information, or more specific
23 information on how those seals were
24 constructed.
25 Future tests will include

Page 1052

1 all of the methods that we were able to
2 obtain from those interviews. We hope
3 to have the next tests scheduled for
4 some time in May.
5 It's going to take a
6 series of tests to complete this. And
7 after each time we build the seals, we
8 need to let the seals cure for a period
9 of time before we do the tests. So we
10 anticipate that the testing program is
11 going to take throughout the summer,
12 depending on the results of the
13 information we get from each test.
14 One of the other areas
15 that we're looking at is some of the
16 gas detection equipment, and self-
17 contained, self-rescuers. We're
18 looking at the handheld gas detectors
19 that were used by the miners. We've
20 done some testing on that to date, and
21 we continue to do more.
22 We're looking at the AMS
23 system that was used at the mine. We're
24 looking at some of the information
25 that's going to come out on the

Page 1053

1 printouts from there, and we're also
2 looking at the computer, itself, to get
3 some of the data to better understand
4 the results of some of that information
5 from that system.
6 We're also looking at the
7 SCSRs that were used by both the Two
8 Left crew and the One Left crew. As you
9 all know, the information provided by
10 Mr. McCloy in his note to the families
11 has provided us a lot of good
12 information.
13 We're looking forward and
14 hope to soon be able to interview Mr.
15 McCloy and get additional information
16 so that we know more about exactly what
17 happened to these SCSRs.
18 We did do some testing to
19 date on the SCSRs. The testing that
20 we've completed so far does indicate
21 that they did react when they --- they
22 did start when the miners tried to do
23 that. Exactly what happened, we don't
24 know at this point. We need to talk to
25 Mr. McCloy and find more about that.

Page 1054

1 We know that a percentage
2 of the chemical that's in these units
3 were used. Some of them as low as 25
4 percent, some of them as high as 72
5 percent. We're continuing to evaluate
6 that. We're continuing to evaluate
7 what effect and how long these self-
8 rescuers last when they're under heavy
9 usage and when they're idle.
10 The map that you see here
11 is some of the information that we have
12 of the self-rescuers. You can see
13 where the self-rescuers were deployed
14 where we found the 12 cap
15 --- the tops and the bottoms for those
16 rescuers. It indicates most likely
17 where they did start to put the SCSRs
18 on.
19 We also know that they
20 had the self-rescuers with them at the
21 barricade. So some of the questions we
22 need to answer is, is did they operate,
23 how did they operate, what problems did
24 they have. And again, Mr. McCloy is
25 going to be a key to understand that.

Page 1055

1 Once the information is
2 obtained from that, then we'll be able
3 to take the proper steps as far as
4 these SCSRS.
5 One of the things we are
6 going to do in the future, next week,
7 MSHA and the State of West Virginia
8 will initiate a joint program to ensure
9 that all miners are properly trained in
10 the procedures for donning and
11 exchanging SCSRs. They're going to
12 take a special focus in this effort
13 during their regular inspection process
14 and make sure the SCSR training
15 requirements are implemented. West
16 Virginia will be doing that in the
17 State of West Virginia, and MSHA will
18 be doing that across the United States.
19 We will also actively
20 monitor coal mine operators. Their
21 testing of the functionality of these
22 SCSRs to make sure that they are doing
23 the testing that's required, and to
24 make sure that they are checking them
25 to make sure that they're not too old,

Page 1056

1 or that they are working properly. So
2 we're going to be doing that. But we
3 do anticipate doing future things,
4 depending on what we learn from Mr.
5 McCloy.
6 As Richard said, our
7 investigation's ongoing. We have much
8 work to do. We have much work to
9 determine the cause, and especially the
10 failure of these seals. We continue to
11 look at the ignition sources. We have
12 some more interviews to do.
13 We'll be evaluating the
14 evidence we do have to date and
15 analyzing that data. Thank you, Mr.
16 Chairman.
17 CHAIR:
18 That completes your
19 presentation?
20 MR. GATES:
21 Right. That completes
22 the presentation. We'll be happy to
23 address any questions that the panel
24 may have.
25 QUESTIONS OF PANEL SIX

Page 1057

1 CHAIR:
2 Just one question for Mr.
3 Hieb. Could you speak to the anomaly
4 in the roof? I know you're a fossil
5 man. With your expertise, can you
6 address that as well?
7 MR. HIEB:
8 Yes. We had looked at
9 that, and the appearance of it was
10 something that warranted looking at it
11 as hard as we have. It has been
12 examined both from the standpoint of
13 materials testing and from the
14 standpoint of, is it possibly a track
15 for plant fossils.
16 I can't speak to the
17 results of the first testing, because
18 that's not been made available to us
19 yet, but as to the preliminary
20 information regarding its association
21 with the plant fossil, there does
22 appear to be an association with the
23 carbon films that are found on the
24 surface of the anomaly, with what's
25 consistent with what you would find

Page 1058

1 with a plant fossil. And that's
2 preliminary. We've not seen a report
3 on that yet. But that's the status on
4 that currently.
5 CHAIR:
6 What's the plant that you
7 suspect it might be?
8 MR. HIEB:
9 It appears that Sigilaria
10 is the primary correlation that it
11 would be placed with, and that's due to
12 a couple of reasons. One is the
13 morphology of its long, straight,
14 parallel thoroughs that have in some
15 places a suggestion of equally spaced
16 circular structures that resemble plant
17 scars. That's consistent with the
18 morphology of the Sigilaria.
19 In addition, we have
20 confirmed Sigilaria plant parts in the
21 roof of other locations within the
22 sealed area.
23 CHAIR:
24 Thank you. Questions
25 from the families? There's a request

Page 1059

1 for a brief break, which we'll do ---
2 which we can do. We also brought up an
3 Omega block, which people can examine
4 here. This is from the Sago Mine. ICG
5 sent it around, and we can take a look
6 at it during the break.
7 SHORT BREAK TAKEN
8 CHAIR:
9 We have a demonstration
10 today with the Omega block. ICG sent
11 in one of their Omega blocks. Dan and
12 Russell, if you could pick it up. It is
13 --- the advantage that it has over
14 cinder blocks, obviously, is it's much
15 lighter and easier to cut and to deal
16 with.
17 A disadvantage is that
18 the --- it tends to break off easily,
19 as was done by Dan here using his
20 strength. But what it leaves is a
21 friable or a rough edge. And that
22 --- the problem there is that you ---
23 it's more difficult to get a seal and
24 to get a --- when you put the bond on,
25 it's more difficult to get that sealed

Page 1060

1 area, thus permitting on occasion, the
2 block to allow methane to go through.
3 And that's a concern that you have when
4 you use Omega block types.
5 And all seals breathe in
6 and out and that's expected when you
7 have barometric pressure change. That's
8 one of the reasons, for example, that -
9 -- Mr. Roberts referred to the NIOSH
10 report yesterday. And that is --- they
11 asked --- in mines that create a lot of
12 methane and have experience with
13 lightning, they asked for heavier
14 amounts of blocks to be put in and
15 larger numbers of blocks to be put in.
16 And so that you have with this and
17 then a bond coating that will coat the
18 front --- on the front and the back and
19 between the blocks as well as on the
20 floor.
21 And on top of this at the
22 --- at the mine roof, there is a, what
23 do they call it, fly board that's put
24 in to make certain that you close that
25 area up between the seal, between the

Page 1061

1 Omega block and the roof itself. And
2 that has to be also bonded and glued or
3 put together --- not glued but put a
4 seal on it. Did I miss anything?
5 UNIDENTIFIED SPEAKER:
6 How about the way they
7 are installed?
8 CHAIR:
9 Well, the way they are
10 installed, I couldn't address here, but
11 the installation is --- follows a plan
12 that is submitted by the company and
13 that needs to be followed pretty
14 rigorously in order to make the blocks
15 work because of some of these
16 limitations on it. All right.
17 UNIDENTIFIED SPEAKER:
18 One family member is
19 concerned about the crack that's in the
20 block and would like that to be pointed
21 out.
22 CHAIR:
23 Identify yourself on the
24 record.
25 MR. MEREDITH:

Page 1062

1 My name is Dan Meredith,
2 the son-in-law of Jim Bennett. When
3 these blocks are built, nobody knows
4 how many cracks or how many bubbles are
5 going through these, because they're
6 not pressure checked. When there's a
7 crack going from one side the other,
8 when these guys are putting these
9 together, when they're only putting the
10 mortar on with bare hands, on the face
11 and sides and whatever, they're just
12 throwing it on there, what's keeping
13 that methane gas from pushing all the
14 way through and knocking out what
15 mortar they had on there?
16 MR. UROSEK:
17 I think one of the things
18 that we mentioned that we're looking
19 at, we actually have a number of these
20 blocks. We are going to be doing some
21 testing in that area to determine, you
22 know, what happens with these blocks.
23 And we do --- we have heard similar
24 stories to the one that you just
25 mentioned, and that's part of the

Page 1063

1 evaluation we're undergoing.
2 CHAIR:
3 Thank you, Russell and
4 Dan. and we'll leave the block up for
5 the remainder of the day. And now what
6 we'll do is, Celeste can you make a
7 block part of the record? That was a
8 joke. In order to coordinate the
9 timing between the seismic clock in
10 Morgantown and the company clock of the
11 CO monitor at 57 block, was the seismic
12 clock tested using the same atomic
13 clock device or method? I'll direct
14 that to Mr. Hieb.
15 MR. HIEB:
16 The clock was not
17 re-correlated by us, but it is
18 maintained by the West Virginia
19 Geological Survey and I believe it's
20 actually a station that is owned by the
21 U.S.G.S. And I did contact somebody in
22 Denver to confirm that it was on GPS
23 clock time, which is universal time,
24 the same time as atomic clock. And so
25 the assumption was made that they were

Page 1064

1 properly maintaining their clock to GPS
2 time. CHAIR:
3 This question is directed
4 to MSHA. Were there other miners that
5 were interviewed that reported a
6 failure of their SCSRs? And how many
7 actual SCSRs that were in the mines
8 were tested following the revelation
9 that Mr. McCloy made?
10 MR. UROSEK:
11 We did test other SCSRs
12 that, you know, were provided to the
13 mine. The exact number escapes me at
14 the moment, but some of those, on the
15 testing of those and also from the
16 information we received from the
17 interviews, that the SCSRs that were
18 deployed, other than what we've heard
19 from Mr. McCloy did work and properly,
20 and they didn't have any problems. We
21 did hear yesterday the information on
22 the SCSRs during the rescue attempt and
23 the air and the concerns and problems
24 that they had.
25 MR. GATES:

Page 1065

1 I think, Davitt, I'll add
2 just a little bit to John's response.
3 If I recall correctly, I do think that
4 there was a --- one gentleman from the
5 One Left crew who donned the SCSR. The
6 gentleman had false teeth and said
7 without his teeth that he did have some
8 difficulty with the mouthpiece. I
9 think I recollect that from one of the
10 --- one of the transcripts. There were
11 also several --- several comments from
12 miners from the One Left crew who had
13 donned their SCSRs, who indicated that
14 they worked, worked as they were
15 designed to and that they had no
16 problems with them. I do recall that
17 from some of the --- some of the
18 transcripts as well.
19 CHAIR:
20 And a follow-up to that
21 with regard to that, how many ---
22 subsequent to Mr. McCloy's testimony --
23 - letter, how many SCSRs have been
24 tested in the field?
25 MR. GATES:

Page 1066

1 I'm not sure what you
2 mean by tested --- tested in the field.
3 I guess I can't --- I guess I could
4 only answer that, that I really don't
5 know how many have been tested across
6 the country. As John had mentioned to
7 the Panel and to the audience a little
8 earlier, there are, in fact, some
9 things ongoing jointly with MSHA as
10 well as the State of West Virginia and
11 other states to take a closer look at
12 the functionality of the SCSRs as well
13 as some of the requirements of the new
14 ETS.
15 CHAIR:
16 I think the --- maybe you
17 could put that in record --- question
18 in the record, to see how many of the
19 devices actually physically have been
20 tested, those that are in mines, that
21 we tested a number of those devices to
22 get a sample of to --- so as to address
23 Mr. McCloy's statement. Okay.
24 Mr. Hieb, did you consult
25 or compare notes with Mr. Sawyer's for

Page 1067

1 the --- for your report?
2 MR. HIEB:
3 No. No, I did not.
4 CHAIR:
5 Thank you. This is for
6 Mr. Gates. Please explain the pumping
7 of water before the explosion occurred
8 and how much water was pumped after the
9 explosion was --- occurred. That is the
10 pumping, I think, that we're talking
11 about in the sealed area, the pumping
12 of water process and then how much
13 water was pumped and where was it
14 pumped to at the --- after the
15 explosion as well.
16 MR. GATES:
17 I guess I would answer
18 that prior to the event on January 2nd,
19 I really --- I really could not tell
20 you how much water was, in fact, being
21 pumped from behind the --- behind the
22 sealed area. You know, prior to ---
23 prior to the in-mine investigation ---
24 portion of the investigation beginning,
25 there were boreholes that were drilled.

Page 1068

1 And some water was, in fact, pumped
2 from those boreholes. As far as how
3 many gallons were --- specifically were
4 pumped, I couldn't answer that
5 question.
6 I do know --- and I guess
7 I'll follow up a little bit. I had
8 understood that there was some concern
9 about how was the water behind the
10 seals or behind what had been the seals
11 planned to have been dealt with as it
12 accumulated. And the regulations
13 require that each set of seals contain
14 a water trap. And if, in fact, the
15 water had began to accumulate behind
16 that set of seals would come out
17 through the water trap and then I would
18 anticipate that the company would have
19 installed a pump
20 --- pump around that area to address
21 the water --- address the water. But I
22 --- that's speculation on my part.
23 CHAIR:
24 Thank you. Is that a
25 sufficient answer? Was there pumping -

Page 1069

1 -- after the item was sealed, to your
2 knowledge, was there pumping from the
3 outside to de-water the area, after the
4 area was sealed?
5 MR. UROSEK:
6 To our knowledge, there
7 was no pumping after the area was
8 sealed.
9 CHAIR:
10 Okay. Now, let me ask
11 Mr. Hieb, and as well, John, yourself,
12 the pump that was described, I believe
13 you described it, Mr. Hieb, the
14 de-watering pump that is in the sealed
15 area currently, that has not been
16 retrieved, then you describe a cable
17 that goes from that water pump, out to
18 an area close to where we believe, or
19 you believe, the explosion occurs. Can
20 you talk a little bit about that, and
21 perhaps John as well, what that pump
22 was for, how that pump was connected to
23 power and what is the condition of that
24 cable and the pump as far as you know?
25

Page 1070

1 MR. HIEB:
2 Okay. The pump was
3 originally for de-watering that part of
4 the mine, that's the lowest elevation
5 in the sealed area, which is the reason
6 the pump was set there. There was no
7 power to it. The power was all
8 withdrawn before the seals were
9 constructed. The pump cable with the
10 coupler was just at --- the cable ran
11 from the pump approximately 1,350 feet
12 to the coupler and terminated there.
13 There was no power connected to it.
14 The condition of the cable is it's
15 broke in three places. These three
16 breaks appear to be where it was not
17 submerged under water. In other words,
18 it was in open air at the --- believed
19 to be in open air at the time of the
20 explosion. And the condition of the
21 pump is something we haven't
22 ascertained at this time, because it's
23 partially submerged and we have not
24 been able to retrieve it yet.
25 CHAIR:

Page 1071

1 Did the breaks in the
2 cable appear to be prior to the
3 accident or post accident?
4 MR. HIEB:
5 The preliminary evidence
6 from the forensics done on the cable
7 ends is that they were pulled apart
8 longitudinally in a way that may have
9 been caused either by equipment before
10 the explosion or could have been pulled
11 apart during the explosion itself.
12 CHAIR:
13 Mr. Hieb, I know you to
14 be a person that doesn't engage in
15 speculation. But for us, is there a
16 possibility that this pump and the
17 cable had some connection to this
18 explosion?
19 MR. HIEB:
20 Because of the
21 circumstantial evidence of the
22 termination of the pump cable at the
23 location of the explosion, or that the
24 explosion is believed to have occurred,
25 and due to the large amount of

Page 1072

1 continuous metal, both in the roof
2 mesh, the plates, the bolts, all
3 connected together into one mass and
4 the fact that we also have some
5 evidence to believe this was all common
6 to the pump and cable at the time of
7 the explosion, we're --- we can't rule
8 it out as a possibility. And it was
9 brought up today because it is one
10 avenue that we're seriously
11 investigating.
12 CHAIR:
13 You explained that the
14 cable was common with the wire mesh.
15 Can you explain that?
16 MR. HIEB:
17 The cable is connected to
18 a control box several feet before it --
19 - the cable runs from the control box
20 to the pump. That control box was
21 hanging close to the roof and being
22 submerged at the time of the explosion,
23 both the wire mesh in that location,
24 the pump and the control box would have
25 been underwater. Because of

Page 1073

1 preliminary water samples that we took
2 indicated conductivity in the water due
3 to dissolved minerals, and due to the
4 preliminary forensics indicating that
5 there was water in the control box, and
6 also testimony from one of the
7 inspectors that was affiliated with
8 recovery of that control box, we
9 believe that any electrical charge or
10 induced charge to the wire mesh would
11 have been common through those conduits
12 with the cable, because ---. I left
13 out one part, the pump control box does
14 not have gasket, as most of them do
15 not, so it was not waterproof.
16 CHAIR:
17 And were the water ---
18 you said that water samples were taken
19 from the area near the pump, and water
20 samples were taken from the area in the
21 rock itself. And could you tell us
22 what the results of those were?
23 MR. HIEB:
24 I don't have those in
25 front of me, but I believe the relevant

Page 1074

1 numbers are the specific conductivity,
2 which was between 400 and 460.
3 CHAIR:
4 Mr. Hieb, in law school
5 they didn't teach me much about what
6 the means. Could you put that into
7 context?
8 MR. HIEB:
9 Yes. Those units are
10 basically the inverse of ohms, so if
11 you wanted to convert that to
12 resistivity, I may be incorrect about
13 that, but it would be similar to just
14 taking the reciprocal of that number to
15 determine the resistivity.
16 CHAIR:
17 Is that highly resistive
18 or low resistive?
19 MR. HIEB:
20 It's fairly low
21 resistive.
22 CHAIR:
23 Can we get copies of
24 those test results?
25 MR. HIEB:

Page 1075

1 Yes.
2 CHAIR:
3 Thank you.
4 MR. DEAN:
5 Could I ask MSHA to
6 please bring up that slide with the
7 pump box shown, and the cable?
8 CHAIR:
9 Mr. Hieb, while they're
10 doing that, how big was this pump and
11 how much did it pump and where was it
12 supposed to pump to?
13 MR. HIEB:
14 I'm afraid I don't have
15 those details. I have not seen the
16 pump, and I am not familiar with where
17 the discharge of that pump was.
18 CHAIR:
19 John, do you know?
20 MR. UROSEK:
21 No, I don't.
22 CHAIR:
23 Okay. Where was it
24 supposed to pump to? I mean, what is
25 supposed to pump out --- out of the

Page 1076

1 mine or ---?
2 MR. HIEB:
3 Yes, its purpose would
4 have been to pump water through the
5 mine works to a main discharge line
6 that would lead outside.
7 CHAIR:
8 And back through the mine
9 works?
10 MR. HIEB:
11 Yeah.
12 CHAIR:
13 And it's down in the
14 bottom where the water would be
15 expected to collect, in that area;
16 correct?
17 MR. HIEB:
18 Yes.
19 CHAIR:
20 Do you intend to seek out
21 and extract the pump from underground?
22 MR. HIEB:
23 We made the attempt at
24 one point and we may make another
25 attempt later, but so far that pump

Page 1077

1 remains at the face.
2 CHAIR:
3 I know that Mr. Urosek is
4 an expert on small boats and perhaps he
5 could --- perhaps we could make another
6 effort at trying to retrieve that pump.
7 I understand it's difficult, but I
8 think the Committee feels --- certainly
9 the Legislators feel that this is an
10 important factor for our investigation.
11 And perhaps we can make the same
12 request to ICG to help us with --- to
13 make that recovery. Okay. Thank you.
14
15 This goes to the Omega
16 blocks. What is the psi of concrete
17 blocks as compared to Omega blocks?
18 MR. UROSEK:
19 I might make an error in
20 the exact strength, but I can tell you
21 that a concrete block is much stronger.
22 And I'm going to guess here that it's
23 somewhere in the neighborhood of 1,000
24 psi versus the Omega blocks are
25 somewhere in the neighborhood between

Page 1078

1 80 and 200.
2 CHAIR:
3 That 1,000 for concrete
4 block versus ---?
5 MR. UROSEK:
6 I may be in error of
7 that.
8 CHAIR:
9 Maybe, John, if you could
10 go back and get that information?
11 MR. UROSEK:
12 I can.
13 CHAIR:
14 I doubt that you're in
15 error, as I've found you to be so
16 factual in the past, but maybe if you
17 could ---.
18 MR. UROSEK:
19 I'm just not that
20 familiar with that.
21 OFF RECORD DISCUSSION
22 CHAIR:
23 The question is, is the
24 psi that we're talking about for the
25 block standing alone or --- the

Page 1079

1 concrete or Omega, or for the seal
2 itself?
3 MR. UROSEK:
4 No. That's for the
5 block, the compressive strength of the
6 block, yes.
7 CHAIR:
8 And the requirement for
9 the seal is 20 psi?
10 MR. UROSEK:
11 That's correct.
12 CHAIR:
13 John, to your knowledge,
14 when did that --- when was that
15 adopted?
16 MR. UROSEK:
17 I believe the actual work
18 came from a publication by the Bureau
19 of Mines and was published in about
20 1971. And it was based on work that
21 had been done for a number of decades
22 before that, that they had done
23 explosion testing.
24 CHAIR:
25 Have you had an

Page 1080

1 opportunity to review that?
2 MR. UROSEK:
3 I did.
4 CHAIR:
5 And do you have a
6 conclusion or any comment about the
7 tests, particularly in light of the
8 fact that some other countries require
9 a higher test --- higher level?
10 MR. UROSEK:
11 Well, what I can say is
12 that, you know, the document does
13 indicate that an explosion can generate
14 pressures greater than 20 psi. But
15 based on their research, what they're
16 saying as --- that some --- that is in
17 the very close proximity of the origin
18 of the explosion. And they say that
19 you get some-200 feet away from that,
20 it's very unusual to get pressures
21 greater than 20 psi. As long as the
22 area is well rock dusted and an
23 abundance of coal dust does not get
24 involved in the explosion, I think that
25 was what their research indicated that

1 --- why the 20 psi was the appropriate
2 number.
3 Since that time, of
4 course there's been a number of
5 accidents that have been investigated
6 and explosions. And we were --- we
7 have not been able to see a number
8 greater than 20 psi up until what we're
9 currently looking at. And we're unsure
10 at this point as to the exact pressure
11 that was at the Sago Mine.

12 CHAIR:
13 I understand you haven't
14 completed your conclusion, but do you
15 think that the pressures were close to
16 20 or above 20 or in the range of 20
17 here or ---?

18 MR. UROSEK:
19 At this point, as Richard
20 said, one of the things that important
21 to us is to keep an open mind.

22 CHAIR:
23 That's fine.

24 MR. UROSEK:
25 And I think the testing

1 good.
2 MR. GATES:
3 And I think I'll add a
4 little bit to that. We understand that
5 we will --- will never be able to
6 exactly duplicate or replicate the
7 conditions at the Sago Mine. Lake Lynn
8 is a limestone mine and the dimensions
9 are different, but we hope to replicate
10 it as closely as we can.

11 CHAIR:
12 Okay. Yesterday the
13 query was posed that the trolley line
14 or the power line could have been one
15 way that the lightning traveled
16 underground. Aren't phone lines
17 grounded where the trolley line or
18 power line --- were the trolley line or
19 power line tested at Sago for proper
20 grounding? Also if there was any way
21 of travel, how did it get --- also if
22 this is a way of travel, how did it get
23 into the sealed area? That is how did
24 it get --- how did it go from outby to
25 inby the seals? And I pose that to

1 that we're doing at Lake Lynn is going
2 to lead us to that determination.
3 CHAIR:
4 And are we going to ---
5 are we going to have tests that mimic
6 or duplicate the situation at Sago? I
7 know the test that was done duplicated
8 a 1993 test of the --- to arrive at
9 their approval. Are we going to
10 duplicate the test as it's structured -
11 -- was structured in Omega or roughly
12 so?

13 MR. UROSEK:
14 Currently the testing
15 that we've done is basically a side-on
16 testing or a static pressure where the
17 seals are actually in the crosscut.
18 The future testing that we have planned
19 is to actually install not only the
20 seals in the crosscut, but as in Sago,
21 we're going to put them in the main
22 entry, direct in line with the
23 explosive forces and do that testing.

24 CHAIR:
25 Thank you. That would be

1 John and to Monte.
2 MR. UROSEK:
3 Davitt, I guess that's
4 one of the things that we're continuing
5 to evaluate. We've heard some
6 information from Mr. Novak yesterday. I
7 know one of the things that we had not
8 had the opportunity to receive up until
9 this week was that actual information
10 from him. So we have done some
11 testing. Our electrical folks have
12 evaluated that and continue to do that,
13 and I'm sure they're going to take the
14 information Mr. Novak has supplied and
15 also evaluate that. So I guess the
16 answer is, we're still in the process
17 of looking if that's possible and what
18 could have occurred.

19 CHAIR:
20 Before I go to Monte on
21 that. I know you took a sample of the
22 steel rail to see if there was any
23 connection there. Have you made any
24 results from that test?

25 MR. UROSEK:

Page 1085

1 As a matter of fact,
2 that's one of the tests that we have
3 planned in the very near future. It
4 just came across my desk ---
5 CHAIR:
6 All right.
7 MR. UROSEK:
8 --- actually, about a
9 week ago.
10 CHAIR:
11 Is the test for the Omega
12 blocks --- are you going to cure them
13 the same length of time that the others
14 --- the Sago Omega blocks were cured
15 and put up?
16 MR. UROSEK:
17 Yes, we're going to try
18 to do that. Eight of the ten blocks --
19 - or eight of the ten seals were in
20 place, we believe at this time, for at
21 least 28 days.
22 CHAIR:
23 Right.
24 MR. UROSEK:
25 So we do believe that

Page 1086

1 these next series of tests will include
2 a curing period of 28 days.
3 CHAIR:
4 And I could go back to
5 the water trap, that you talked about,
6 behind the seals. Could you explain
7 how that works and could methane travel
8 through the water trap?
9 MR. UROSEK:
10 The water trap is located
11 typically in the seal with the lowest
12 elevation and what is required is that
13 the water trap is just like the trap in
14 your house. The trap is supposed to be
15 contained with some type of liquid,
16 whether it's a water or some type of
17 oil or something to maintain it. So
18 water should --- or gas should not
19 migrate from one side of the seal to
20 the other side through the water trap.
21 CHAIR:
22 If you know, John or
23 Richard, who made the decision not to
24 dispatch the seismograph unit to the
25 Sago Mine? And when was that decision

Page 1087

1 made? The seismograph.
2 MR. GATES:
3 I can't respond to that,
4 Davitt. I was not on the mine site
5 during the rescue and recovery efforts.
6 CHAIR:
7 John, do you know?
8 MR. UROSEK:
9 I didn't respond there
10 until that --- I wasn't able to get
11 there until that evening. Apparently
12 that decision was made prior to that.
13 CHAIR:
14 Okay. Maybe what we can
15 do is make that one part of the record
16 and we'll try to find an answer out for
17 that.
18 Perhaps I skipped over --
19 - were the trolley lines and the power
20 --- and the phone lines found to be
21 grounded during your investigation?
22 MR. GATES:
23 There were, in fact, some
24 issues that were observed during the
25 inspection of the trolley lines, or

Page 1088

1 I'll just say of the mine --- mine
2 system that dealt with grounding. And
3 also with the installation of lightning
4 arrestors was discussed in, I think,
5 one of the questions from one of the
6 Panels yesterday. There have, in fact,
7 been some enforcement actions taken on
8 the lightning arrestors. There have
9 been some citations issued, non-
10 contributory citations issued on
11 grounding --- grounding issues within
12 the mine. And the team continues to
13 look at the possibility of additional
14 enforcement actions in the future.
15 CHAIR:
16 I think the thrust of the
17 question is whether your findings, vis-
18 à-vis grounding or failure to have
19 ground properly, would be part of a
20 track of the power entering the mine?
21 In other words, if there were grounding
22 issues that were in One Left, it
23 probably wouldn't be as relevant or
24 somewhere that just didn't connect.
25 But if we have a theory that the power

Page 1089

1 --- that the energy is going up the
2 main line or up the trolley line or up
3 the phone line, do those two connect?
4 Do your findings connect to that
5 question?
6 MR. GATES:
7 I'm sorry. Could
8 you ---?
9 CHAIR:
10 Not a good one. I worked
11 on it for an hour and a half last
12 night. Let me try again. I understand
13 the citations, and that's one issue.
14 But the second question that we've
15 heard very much about, the potential,
16 from Doctor Novak, of the power coming
17 into and through the trolley or the
18 telephone line up toward the sealed
19 areas from the face --- from the face
20 of the mine into and up to where,
21 perhaps, getting down into the seals
22 and exploding. That's the hypothesis
23 that he has. Does your finding with
24 regard to the failure to properly
25 ground, or anything else, lead you to

Page 1090

1 believe that those two might be
2 connected, that that grounding would
3 have something to do with the
4 transmission of that energy up to the
5 sealed area?
6 MR. GATES:
7 I guess I'm not exactly
8 sure but I understand but I know we are
9 --- the folks, the electrical folks who
10 are a part of the team, do continue to
11 look at some of the possibilities that
12 --- how lightning may have entered or
13 how that electrical charge may have
14 came from the surface and into the
15 mine.
16 CHAIR:
17 John, are you on the
18 electrical team?
19 MR. UROSEK:
20 No, I'm not.
21 CHAIR:
22 Well, perhaps we could
23 get --- you know, we could pose that as
24 a question that we need to have
25 answered. Because I think the issue

Page 1091

1 that we're trying to connect here is,
2 does the failure to be grounded
3 properly have anything to do with the
4 passage of the energy to get through
5 the mine into the sealed area, if
6 that's the theory that we accept.
7 During the interviews
8 with those who built the seals, was it
9 determined if the mortar was placed at
10 all the joints as specified --- at each
11 of the joints as specified in the
12 approved plans?
13 MR. UROSEK:
14 That's one of the areas
15 that we're looking into. The area
16 --- from the information we've received
17 so far, it appears that the method to
18 actually apply the mortar to the
19 vertical joints of the blocks was by
20 laying the blocks down dry and then by
21 putting mortar on top of the blocks and
22 pushing the mortar actually down into
23 the cracks to get it onto the vertical
24 joints. That actual construction
25 method will be part of the next testing

Page 1092

1 --- or maybe not the very next one, but
2 in the very near future, the testing
3 process that we'll be doing.
4 CHAIR:
5 And the method that was
6 used, did that comport with the plan as
7 was approved?
8 MR. UROSEK:
9 Well, the plan specifies
10 that all joints, both horizontal and
11 vertical are to be mortared.
12 CHAIR:
13 Right.
14 MR. UROSEK:
15 And it's the method that
16 was used. Now, was it adequate or not,
17 is just part of what the testing
18 program will determine.
19 CHAIR:
20 But in your experience
21 with mortaring of blocks, does that
22 method comport with standard mortaring
23 procedures?
24 MR. UROSEK:
25 I can tell you that it is

1 different than the way that it was
 2 built by the actual Bureau of Mining
 3 product folks that built the 2001 seal.
 4 When they constructed the 2001 seal
 5 and the one that was retested in 2006,
 6 they put mortar on all the vertical
 7 joints on the block themselves before
 8 they had actually installed them.
 9 CHAIR:
 10 As far as you have been
 11 able to determine, either for Monte or
 12 John, what's the highest psi that
 13 you've seen in an explosion up until
 14 this point?
 15 MR. UROSEK:
 16 The highest pressure that
 17 I've seen has been at the Blacksville
 18 Mine. It's a different scenario than
 19 we have here. It was a shaft
 20 explosion.
 21 CHAIR:
 22 Right.
 23 MR. UROSEK:
 24 And the actual --- it was
 25 a detonation rather than what we have

1 in a normal coal mine. And the
 2 pressures there reached well over a
 3 thousand psi. But again, that's an odd
 4 situation, it was in a shaft.
 5 CHAIR:
 6 I think the question goes
 7 more to, in this mine, at the Sago,
 8 have you gotten any pressure ---- psi
 9 measurements so far that you --- not
 10 that you've concluded, not that you've
 11 finished, but have you gathered any
 12 numbers?
 13 MR. UROSEK:
 14 Well, at this point,
 15 we're still evaluating that. There are
 16 things that we're looking at that have
 17 some conflicting information. For
 18 example, the seals themselves, the way
 19 they were destroyed is unlike any
 20 method that we've seen in the explosion
 21 tests that we've don't at Lake Lynn.
 22 They were --- they're not typically
 23 destroyed in that fashion. So that does
 24 indicate that they were hit with
 25 something different than we've gotten,

1 our high pressure. But yet outby the
 2 seals where the miners in the One Left
 3 were located, they were --- they
 4 survived the blast of the explosions.
 5 So that doesn't ---
 6 that's some conflicting information of
 7 higher pressure versus lower pressures.
 8 Some of the damage to the stoppings
 9 that we saw are indicative of pressures
 10 of less than five psi in the general
 11 area. So there is some conflicting
 12 information and that's part of the
 13 process that we're going through.
 14 CHAIR:
 15 Okay. Mr. Hieb?
 16 MR. HIEB:
 17 The State has not gotten
 18 to the point of performing those
 19 calculations yet.
 20 CHAIR:
 21 Okay. The question was,
 22 what's the highest psi in underground
 23 explosions that you've seen? Is that
 24 not shaft but underground?
 25 Underground. Yeah.

1 MR. UROSEK:
 2 I know that it has been
 3 less than 20 psi. I think the highest
 4 that I can recall might have been in
 5 the 10 to 15 range.
 6 CHAIR:
 7 Okay. If the lightning
 8 theory is proven to be correct and it
 9 is proven that we had as high as 92 psi
 10 forces, what would be your
 11 recommendation to do --- what would be
 12 done for all of the existing seals in
 13 the mines in the country today? In
 14 effect, raising the question as if this
 15 kind of force can happen, aren't we at
 16 risk in the other mines in the country
 17 where we have sealed areas?
 18 MR. UROSEK:
 19 Well, I think that's
 20 correct. If we do find that the
 21 pressures were to that level or even
 22 greater than the 20 psi. I think we
 23 need to evaluate our seal testing
 24 program. We'll need to evaluate the
 25 seals that are out there. And I'm not

Page 1097

1 exactly sure at this point, how that
2 could be done. It could be a
3 combination of evaluating the seals
4 themselves, evaluating the atmosphere
5 behind the seals, some method to
6 determine that an instance similar to
7 this could not happen.
8 CHAIR:
9 Mr. Hieb, do you have a
10 comment on that?
11 MR. HIEB:
12 I think I might add to
13 that that we may need to think about
14 looking at the condition of the entry
15 heights behind the seals. We know that
16 --- where there were areas that were
17 bottom mined, that the room heights
18 were about double of what the heights
19 were at the seals. And there's some
20 thought currently that perhaps the
21 concentration of those flows necking
22 down from those high heights to the
23 lower heights might have created a
24 Venturi effect, which could have
25 increased velocities of the blast at

Page 1098

1 the seals. So I think perhaps there
2 might be some recommendations later on
3 incorporating considerations like that
4 in seal designs.
5 CHAIR:
6 Mr. Hieb, I know you're
7 undertaking a survey of the sealed area
8 to determine where the heights were.
9 Has that been completed?
10 MR. HIEB:
11 That survey was performed
12 by some consultants for ICG. And it's
13 in the form of two AutoCAD layers, one
14 for the bottom surface and one for the
15 roof surface. Yes, we are analyzing
16 that currently.
17 CHAIR:
18 And can we get a copy of
19 that for the record?
20 MR. HIEB:
21 Yes.
22 CHAIR:
23 If I might make a
24 commercial announcement. Mr. Hieb,
25 kindly worked with Jesse Wagner, who is

Page 1099

1 a colleague up in --- at Temple
2 University in Philadelphia, to create
3 the models that you see over here. It
4 was Mr. Hieb's information that allowed
5 Mr. Wagner to put those together so
6 that they are replicas of the mine at
7 Sago. And Mr. Wagner is gone, but I
8 just want to publicly for the record,
9 state how pleased we are with the work
10 that he did and how much help it was
11 and the help that we've received from
12 Mr. Hieb on that.
13 MR. CLAIR:
14 Mr. Chairman, if I may?
15 I'd also like to recognize Chris
16 Weaver, who hasn't been identified yet
17 on the Panel, but he is responsible for
18 these PowerPoints that we've been using
19 this morning and I think they're a very
20 effect communication tool in helping
21 all of us understand what happened. So
22 thank you, Chris.
23 CHAIR:
24 We do recognize Mr.
25 Weaver, and I understand he's from

Page 1100

1 Claremont, West Virginia ---
2 MR. WEAVER:
3 Yes.
4 CHAIR:
5 --- the center of the
6 universe, as I am. I think this has
7 been asked, but the testing that took
8 place at Lake Lynn, the force of the
9 blast was not --- was sent across the
10 face of the seals, rather than from
11 behind the seal?
12 MR. UROSEK:
13 Actually the force came
14 down the entry from the explosion and
15 the force would have hit the seals from
16 the side. The seals were actually
17 located in the crosscut.
18 CHAIR:
19 And the anticipated tests
20 will have it come from the back?
21 MR. UROSEK:
22 The anticipated test will
23 have it, I guess, inside the sealed
24 area.
25 CHAIR:

Page 1101

1 Right. Okay. What is
2 the time frame to complete the tests
3 for both MSHA and the State? And what
4 do your initial findings indicate
5 caused the accident? And a comment
6 that it is very important that the
7 cause of the accident be determined by
8 the facts. I believe this is a
9 question from Mr. Eustace Frederick.
10 If you could answer that?
11 MR. UROSEK:
12 If you're referring to
13 testing from the seals ---.
14 CHAIR:
15 Right.
16 MR. UROSEK:
17 The seal testing, I wish
18 I could give an end date on the seal
19 testing, but actually each test is
20 going to determine how much more
21 testing we need to do, the results from
22 each test. You know, some of the ones
23 we have planned is to hit them with a
24 higher pressure to see the results,
25 also to have the seals enclosed with

Page 1102

1 the seal in the main entry and the same
2 entry where the explosion occurs. And
3 of course the results of those tests
4 will determine whether we need to do
5 additional tests. As I indicated,
6 we're looking at the pressures, 20 psi
7 or greater. We're looking at the
8 influence of the crib blocks on the
9 seals themselves. We're looking at the
10 construction methods. So when you
11 combine the different things we're
12 looking at, it does make for a
13 different amount of tests.
14 CHAIR:
15 Does your investigation
16 reveal if a concrete footer was poured
17 for the construction of the seals? And
18 was that part of the approved plan?
19 MR. UROSEK
20 None of these seals had a
21 --- although the mine did have a plan
22 for a concrete footer for a larger
23 height, none of these seals were
24 constructed with a concrete footer.
25 CHAIR:

Page 1103

1 And are the seals
2 supposed to be built in dry areas, not
3 damp?
4 MR. UROSEK:
5 Dampness really wouldn't
6 be a factor. They shouldn't be built
7 in standing water.
8 CHAIR:
9 Okay.
10 MR. BENNETT:
11 Well, the first question
12 I'd like to ask is, you guys are
13 investigating ICG's mistake; is that or
14 --- ICG; is that right? Who's
15 investigating MSHA and the State? Is
16 anybody doing that, to see if they made
17 any mistakes throughout the whole
18 process, or are you aware of anybody
19 that's looking into ---?
20 CHAIR:
21 Maybe we could have Ed
22 answer that question, because these
23 fellows are on the investigation team
24 and there is a mechanism for that to be
25 done. Maybe you could answer it.

Page 1104

1 MR. CLAIR:
2 Yes. MSHA has convened
3 and is conducting an internal review of
4 its own performance relative to the
5 events at Sago, both at looking at the
6 performance of District Three prior to
7 the explosion and the systems that are
8 in place in MSHA for dealing with the
9 whole range of issues that are at play
10 here. Beyond the internal review that
11 MSHA conducts, there's also
12 Congressional oversight for the agency.
13 CHAIR:
14 And with regard to the
15 State agency, I'm not familiar that
16 there's an internal review. There is
17 certainly Legislative oversight for the
18 Office of Miners' Health, Safety &
19 Training, but under the present
20 operating procedures, there isn't a
21 review by the State. Although the
22 Governor's asked me, as part of my
23 efforts, to review the conduct of the
24 State, so that we will be addressing
25 that overall question in our report.

Page 1105

1 MR. BENNETT:
2 So MSHA investigates MSHA
3 and the State investigates the State?
4 Do you have a plan for quality
5 assurance?
6 MR. CLAIR:
7 I would just like the
8 record to show that, in fact, does MSHA
9 does investigate itself with people who
10 are not directly involved with the work
11 done by District Three. There's also
12 Congressional oversight and an ongoing
13 GAO investigation which is --- GAO is
14 the Government Accountability Office,
15 which is an arm of the Congress of the
16 United States.
17 MR. BENNETT:
18 Is that your plan for
19 quality assurance?
20 MR. CLAIR:
21 Yes, that is essential to
22 ensuring that the agency continues to
23 review its efforts and improve
24 performance.
25 MR. BENNETT:

Page 1106

1 Just for the record, can
2 you tell me what changed between the
3 Sago mines and the Aracoma mines and
4 why they didn't go in Sago, but they
5 did Aracoma?
6 MR. DEAN:
7 No, sir. I joined the
8 agency on February the 14th at the
9 request of the Governor. And Director
10 Conaway, who was here the other day,
11 was involved in those, so I cannot
12 answer that.
13 MR. UROSEK:
14 I can attempt to answer
15 that for you. The situation at Sago
16 and Aracoma were different. At
17 Aracoma, we had a fire. We knew where
18 the fire was. We knew where it was
19 burning. We knew where the ventilation
20 around the fire. In fact, that was
21 very important to determine the extent
22 of the fire and where the gasses were.
23 Because one of the concerns, of
24 course, with a fire is the fire can get
25 out of control and get into an area

Page 1107

1 where there's methane gas, lead to an
2 explosion. That wasn't the case at
3 Aracoma. We did know where the
4 situation was and where the fire was.
5 So allowing teams to go underground
6 with that knowledge is different than
7 at --- than at Sago, where we didn't
8 know if there was a fire and we didn't
9 know the circumstances of what exactly
10 the explosion --- what happened at the
11 explosion.
12 It's been our experience
13 in the past that oftentimes after an
14 explosion, a fire does start and it's
15 very difficult to detect that. At the
16 Jim Walters Mine, which we talked about
17 that, about the second explosion when
18 the rescuers go in. But what we didn't
19 talk about that a third attempt was
20 made after that with a mine rescue team
21 go into the mine. And when they did go
22 into the mine, they did find a fire
23 burning in a section adjacent to the
24 section where the explosion occurred.
25 They also found the area next to where

Page 1108

1 the fire was had excessive
2 concentrations of methane in the
3 explosive range, so it's a very
4 delicate situation. That information
5 actually caused them to withdraw from
6 the mine before they were able to
7 rescue --- get to the victims. So it's
8 common that after an explosion, a fire
9 can start.
10 MR. BENNETT:
11 Okay. So you're telling
12 me that they had a fire. And with the
13 possibility of a fire, there is a
14 possibility of another explosion and
15 you still went in immediately?
16 MR. UROSEK:
17 No, I'm sorry. At
18 Aracoma, we knew where the fire was and
19 we knew what the ventilation was around
20 the fire. And there was no
21 --- there was not a chance that that
22 fire could come in contact with any
23 methane in the area.
24 MR. BENNETT:
25 Five men was up there and

Page 1109

1 they told you what they encountered and
2 you still didn't go to 57 block.
3 MR. UROSEK:
4 The indication that the
5 five men had, again, comes back to tell
6 us that there was high levels of CO,
7 there was thick, dense smoke in the
8 area, the ventilation current wasn't
9 sufficient to move that out.
10 It's difficult to tell
11 with that information --- it's
12 impossible to tell from that
13 information if there, indeed, was a
14 fire burning somewhere else in the mine
15 or what the methane levels were. We
16 know that there was enough methane that
17 --- there was an explosion, so
18 obviously there was methane in there.
19 How much of that was consumed by the
20 explosion, we don't know. We know that
21 there was also excessive methane
22 concentrations coming out the fan, much
23 higher than had normally been reported
24 at the mine. You don't really know
25 where that's coming from. And early on

Page 1110

1 in the event, you didn't know why it
2 was there and why it wasn't going away.
3
4 MR. BENNETT:
5 Throughout your
6 transcripts, the highest methane levels
7 that I've seen was 1.5 and that's not
8 explosive, nor did the carbon monoxide
9 ever reach 125,000 parts per million.
10 MR. UROSEK:
11 What you're looking at
12 is, we're trying to determine what's
13 in by the mine by what's at the fan. We
14 know from the men that went in that the
15 ventilation controls were damaged. We
16 also know that it's diluted to quite a
17 degree. The amount of air that comes
18 out of the mine compared to what's on
19 the section when a mine is normal is
20 generally 25 percent or less. So the
21 concentration of methane that you have
22 in by with damaged ventilation controls
23 could very easily be well over the
24 explosive range.
25 The CO, itself, is an

Page 1111

1 indicator of the fire. An explosion
2 can --- I've seen numbers after an
3 explosion of anywhere from 20,000 to
4 40,000 parts per million. After an
5 explosion, that's typical. When a fire
6 first starts, or in the early
7 inception, the CO readings can be very
8 low, can be five or ten parts per
9 million, and that's why we have the
10 CO's monitoring system. And then of
11 course, as the fire gets bigger, that
12 number gets larger.
13 But what you're looking
14 at is initially at the Sago Mine,
15 you're looking at the results of the CO
16 from the explosion coming through the
17 fan and it's being diluted out. But
18 you would not be able to tell if a fire
19 was beginning until all that explosion
20 gas was already diluted out. And that
21 was the information that the team that
22 was onsite was trying to determine.
23 MR. BENNETT:
24 You would expect the COs
25 to be high, or for that matter, your

Page 1112

1 gasses to be high coming out of the
2 returns; right?
3 MR. UROSEK:
4 Yes, you would.
5 MR. BENNETT:
6 And as far as getting in
7 the intake and going to Two Left
8 switch, do you know, did they encounter
9 CO levels --- high CO levels in the
10 intake all the way to Two Left switch?
11 MR. UROSEK:
12 My understanding, in the
13 intake, that they did not. We have the
14 one piece of information, I believe,
15 from Mr. Toler where he went into the
16 track entry which would have been the
17 return around the --- or would have
18 been, not really a return, but it's ---
19 it was at that point, because of the
20 controls being damaged of 700 parts per
21 million. Also in the transcripts,
22 you'll see that they've said that many
23 times the detectors either went off
24 scale or higher than what they could
25 reach. So we know we were in

1 concentrations well over a thousand
2 parts per million.

3 MR. BENNETT:
4 But as much time as it
5 took, those levels probably dropped
6 from when you guys entered into the
7 mines?

8 MR. UROSEK:
9 Well, we know when the
10 borehole went through into Two Left,
11 that the readings were still 1,200 to
12 1,300 parts per million. So it had
13 taken quite a while for those CO
14 readings to drop off.

15 MR. BENNETT:
16 And in my opinion,
17 without the use of the seismograph, the
18 borehole was --- it wasn't --- there
19 wasn't even any use to drill. I mean,
20 why did the seismograph not even be
21 deployed? We're told that that will
22 happen and every one of those men
23 expects that to happen.

24 MR. UROSEK:
25 It's unfortunate that

1 MR. BENNETT:
2 I don't really --- I
3 don't care how long it would take to
4 get there, it didn't come and those men
5 didn't get to hear those shots let off
6 on the surface. Do you not feel that
7 that would have gave them a peace of
8 mind knowing that MSHA and their
9 government upheld what they've told us
10 throughout the years.

11 MR. UROSEK:
12 I can't address, I mean,
13 what it would have meant to the miners
14 at that --- at this point. I just know
15 that we were doing everything that we
16 could to try and get to those miners.

17 MR. BENNETT:
18 But you are aware that
19 they was expecting that; correct?

20 MR. UROSEK:
21 I am now, yes.

22 MR. BENNETT:
23 Yeah. And what would
24 that have meant to you, if you would
25 have been one of them that was in

1 that information is what's there. The
2 seismic system, again, is a locating
3 device. I think it's --- we've tried
4 to explain that in this case, we didn't
5 know where the miners were. It was
6 really intended as part of a system
7 that was developed in the '70s, to ---
8 for a situation at a mine where there
9 were subsequent explosions or the fire
10 was such that the mine rescue teams
11 could not get into the mine.

12 Mine rescue teams is the
13 most efficient, fastest way to get to
14 someone that's trapped. If it's unsafe
15 or there's subsequent explosions and
16 it's unable to get a mine rescue team
17 into the mine, that's what the seismic
18 system was designed for. It isn't a
19 rapid deploy system. It couldn't have
20 gotten to the mine early on that day.
21 It's just not designed for that. It
22 would have taken at least 12 hours to
23 get there and to get set up before they
24 would have been able to have the first
25 signal.

1 there, would you have expected to hear
2 that?

3 MR. UROSEK:
4 It's a very difficult
5 question to answer. But ---.

6 CHAIR:
7 Maybe if I could follow
8 up on Mr. Bennett's question. I think
9 what he's suggesting here is that the
10 use of the seismograph and the thought
11 that the seismograph comes in a system
12 is --- as a model, that was designed in
13 the 1969/70 period, early '70 period,
14 following Farmington.

15 So I think the suggestion
16 here, if I'm hearing correctly, is to
17 say, look, we can set shots off to let
18 people know we're trying something that
19 we're, you know, on the way, even if
20 the seismograph isn't there or is
21 taking time to set up. And perhaps we
22 need to be purchasing and using newer
23 seismographs that don't take 8 or 12
24 hours to set up and that have been
25 located around the countries some

Page 1117

1 places where we can get at them.
2 Because even if it's not --- even if
3 we're not concerned about the quote,
4 location so much, perhaps the answer is
5 to send messages back and forth to let
6 people know efforts are underway.
7 MR. UROSEK:
8 I think that some means
9 that we could get messages back and
10 forth would be of the utmost
11 importance, because one, the rescuers
12 would know the situation in the mine.
13 And Two, the miners would know that
14 we're coming to get them and they could
15 give advice on the best way to do that.
16 MS. HAMNER:
17 I would just like to say
18 that my husband's note indicated that
19 they were listening for you to give
20 them some kind of response that you
21 heard them and it didn't come.
22 MR. BENNETT:
23 And the government was
24 saying lack of communication, lack of
25 communication. That was these men's

Page 1118

1 communication to you all. And
2 unfortunately, you wasn't listening.
3 Should the water traps have been
4 grounded in the seals?
5 MR. UROSEK:
6 I'm sorry?
7 MR. BENNETT:
8 Should the water trap
9 have been grounded in the seals?
10 MR. UROSEK:
11 Should have it have been
12 grounded?
13 MR. BENNETT:
14 Yeah.
15 MR. UROSEK:
16 I don't believe that
17 that's something that is required, to
18 have those grounded.
19 MR. BENNETT:
20 Okay. Should it be
21 required?
22 MR. UROSEK:
23 I don't think we have any
24 evidence to indicate, at this point,
25 that that's necessary. But I can

Page 1119

1 assure you that's one of the things
2 that we will be evaluating as part of
3 this accident.
4 MR. GATES:
5 And this --- I would like
6 to say one thing. I think you may be
7 referring to the gas surveillance pipe
8 that went through one of the seals. In
9 this particular instance, the water
10 trap that was installed was made of PVC
11 --- PVC material. I'm not sure if
12 that's ---.
13 MR. BENNETT:
14 There wasn't any metal at
15 all in it or ---?
16 MR. GATES:
17 Not in the water trap
18 itself, no.
19 MS. HAMNER:
20 I'd like to make a
21 comment that I've been handed from the
22 --- one of the family members. My dad,
23 Jim Bennett, in his note said, they
24 never heard anything from outside, it
25 was in the note he left.

Page 1120

1 MR. BENNETT:
2 You described water traps
3 in the seals to prevent gas from
4 leaking from inby the seals to outby
5 the seals. Have you determined whether
6 the water traps were actually filled
7 with water before the explosion?
8 MR. UROSEK:
9 My understanding at this
10 point is that they were.
11 MR. BENNETT:
12 Are you referring that
13 Randal McCloy's statement is not true,
14 that the rescuers didn't work?
15 MR. UROSEK:
16 Absolutely not. I think
17 we need to talk to Randal to find out
18 what information he can provide to us.
19 And we can evaluate that, and try to
20 learn from it and do what we need to do
21 as far as SCSRs from that information.
22 MR. BENNETT:
23 Can you provide us with
24 the results and the reports of SCSRs?
25 MR. UROSEK:

1 At some point, all the
2 information that we have available will
3 be released.
4 MR. BENNETT:
5 Can you tell me how you
6 can prove that they wasn't activated on
7 their belts or before --- or prior to
8 opening the SCSRs?
9 MR. UROSEK:
10 My understanding of the
11 testing that they did, there's an
12 actuator inside the SCSRs and they can
13 evaluate that to determine whether or
14 not it was activated. And the results
15 of the testing indicate that those
16 activators were activated.
17 MR. BENNETT:
18 But you don't know how
19 they can prove that, that it wasn't
20 activated before they actually pulled
21 their activation cord or ---?
22 MR. UROSEK:
23 I don't know the answer
24 to that specific question as to when
25 that would have been done.

1 MR. GATES:
2 Right. I don't believe
3 that the tests give any information as
4 to the actual time that they were
5 activated.
6 MR. BENNETT:
7 So it's a possibility
8 they could have somehow activated on
9 the belt at one time or another?
10 MR. UROSEK:
11 Well, I think the testing
12 process will evaluate that because I
13 think one of the things that they're
14 looking into is what happens to an SCSR
15 when it is activated and just left idle
16 for a period of time, to see what it
17 does.
18 MR. BENNETT:
19 The two indicators that
20 we have on our rescuers, can they
21 change from blue to pink and back to
22 blue again? Have you ever encountered
23 that?
24 MR. UROSEK:
25 I have not personally

1 encountered that. I'm not familiar
2 enough with the testing program to know
3 if they ever have. I've never heard of
4 that though.
5 MR. BENNETT:
6 Are any of you?
7 MR. GATES:
8 I'm not aware of any
9 reversal. I mean, it is a chemical
10 reaction that makes --- that provokes
11 the color change and I'm not aware of
12 any reversal of that.
13 MR. BENNETT:
14 As far as the chemicals
15 that was used up to show how much the
16 rescuer had been used, whether it was
17 75, 30, so on and so forth, whatever
18 the numbers were, none of them was used
19 up a hundred percent. And that should
20 tell you that --- I mean, that's not --
21 - that's unacceptable. It all should
22 have been used a hundred percent. And
23 there was a reason that they wasn't.
24 And that's NIOSH's job or your job or
25 somebody's job to find that out.

1 MR. UROSEK:
2 And I agree with you. I
3 think that's a question in all of our
4 minds as to why they wouldn't have been
5 used fully and understand what the
6 analysis actually means, you know, what
7 that 70 percent means, what the 25
8 percent means. I think that's going to
9 be very important to us, as well as to
10 get the information from Mr. McCloy to
11 have a better understanding of that.
12 MR. BENNETT:
13 And so you can't explain
14 the exact procedures used to test the
15 SCSRs?
16 MR. UROSEK:
17 I'm sorry, I'm not that
18 familiar with the testing program that
19 I could do that for you.
20 MR. BENNETT:
21 Again, how can they say
22 that all the SCSRs worked when some of
23 the people off of One Left crew say
24 that they didn't work properly?
25 MR. UROSEK:

Page 1125

1 We could just go with the
2 information they provide to us during
3 the interviews and then correlate that
4 also with the test results that we
5 obtained.
6 MR. BENNETT:
7 And again, can you
8 provide the serial numbers and
9 manufacture numbers on the SCSRs and
10 the dates
11 --- the manufacturer dates? I'm sorry.
12 MR. UROSEK:
13 Yes.
14 MS. HAMNER:
15 Do you realize that some
16 of the SCSRs that were manufactured
17 before 1994 have been recalled?
18 MR. UROSEK:
19 That's my understanding,
20 yes.
21 MS. HAMNER:
22 Were any of the SCS ----
23 any of the SCSRs in your possession
24 from Sago, have they been manufactured
25 before 1994?

Page 1126

1 MR. UROSEK:
2 I don't believe so.
3 MS. HAMNER:
4 You don't believe so?
5 But we do want those dates.
6 MR. UROSEK:
7 Yes.
8 MR. BENNETT:
9 Earlier you spoke about
10 the energy source traveling the wire
11 mesh. I'm not sure which one of you
12 was speaking about that --- okay.
13 Would that energy source not have
14 dissipated through the roof bolts?
15 MR. HIEB:
16 It should have followed
17 mainly the path of least resistance,
18 whatever that path was.
19 MR. BENNETT:
20 So you don't know what
21 that path is?
22 MR. HIEB:
23 Not at this time. That's
24 part of what we're looking at in the
25 sealed area is not just the

Page 1127

1 conductivity of the wire mesh but
2 conductivity of the formation around
3 it.
4 MR. BENNETT:
5 So the anomaly on the
6 roof, you don't feel had anything to do
7 with the source of the ignition; is
8 that correct?
9 MR. HIEB:
10 That conclusion has not
11 been made yet.
12 MR. BENNETT:
13 Do you feel that it may
14 have?
15 MR. HIEB:
16 There's still a
17 possibility.
18 MR. BENNETT:
19 Okay. How did it get
20 through the seals with the wire being
21 cut?
22 MR. HIEB:
23 That's what we're working
24 on.
25 MR. BENNETT:

Page 1128

1 And then --- I'm not sure
2 exactly how far it was, but you had the
3 screen in the belt entry and it
4 traveled approximately, I want to say,
5 25 blocks to where the anomaly on the
6 roof is. How did it get from the belt
7 entry to where the anomaly on the roof
8 is? There isn't any screen on the top
9 where the anomaly on the roof is.
10 MR. HIEB:
11 You're saying coming up
12 the belt through the seals ---
13 MR. BENNETT:
14 Right.
15 MR. HIEB:
16 --- that way? Yeah,
17 that's correct, there are gaps in the
18 wire mesh coming in that way.
19 MR. BENNETT:
20 And it had to go through
21 a crosscut. I'm not even --- I'm not
22 exactly sure what the anomaly is, but
23 the anomaly isn't where they're
24 screened; is that correct?
25 MR. HIEB:

Page 1129

1 No. The anomaly is
2 really a feature in the roof that was
3 probably about six feet of draw slate
4 taken in that location. The roof was
5 smooth at that spot. The anomaly is an
6 imprint in the roof. We have a slide
7 on that. Can I use your pointer?
8 This double track here
9 was a feature of greatest interest.
10 They are two grooves that are parallel
11 to each other across the entire entry
12 on an angle, perfectly straight and
13 parallel. It's just an unusual
14 feature. Coming in at an angle is
15 another linear feature, it's a single
16 track. So that's basically the feature
17 that was under investigation that's
18 just being referred to as the anomaly.
19
20 MR. BENNETT:
21 Okay. So you feel that
22 it propagated how many blocks in by the
23 seals? Are you --- do you know exactly
24 where it propagated?
25 MR. HIEB:

Page 1130

1 Actually I have not
2 really heard propagation direction
3 being referred to that way. I think
4 most of the lines of inquiry have been
5 directed from the surface straight down
6 to it.
7 MR. BENNETT:
8 Okay. Why wouldn't it --
9 - why wouldn't an ignition source have
10 been at the seals immediately in by the
11 seals as soon as it ---?
12 MR. HIEB:
13 Yeah. Well, if you
14 examine the details of all the forensic
15 evidence of the plate bending and the
16 force directions, compacted dust,
17 things of that nature, they indicate
18 the explosion was in the area that we
19 showed in our presentation. So that's
20 some distance back away from the seals.
21
22 MR. BENNETT:
23 And you really don't know
24 why? I mean, if there was methane
25 right behind the seals, why it didn't

Page 1131

1 start at the seal as soon as it went
2 through the seal? Could the marks on
3 the roof have been made by prior mine
4 activities?
5 MR. HIEB:
6 That was the immediate
7 thought when you see them, but it could
8 not have been made by the equipment
9 that was used there. Maybe a Wilcox
10 miner if it was being used could
11 possibly have done that. But that is
12 speculation. That's not --- those
13 marks did not appear to have been cut
14 by any equipment or produced by the
15 mining procedure.
16 MR. BENNETT:
17 Is there a possibility
18 that there is any old gas wells, water
19 wells or anything of that nature?
20 MR. HIEB:
21 Yes, we've actually gone
22 through all the records available to us
23 for locations of active and abandoned
24 wells. We've conducted surface
25 interviews of residents to determine

Page 1132

1 water wells and we've looked at all
2 that information quite closely. But
3 yet there's still a possibility that
4 there's a casing that does not show up
5 in those records. And we're looking --
6 - we're looking for that casing still.
7
8 MR. BENNETT:
9 Okay. Did you say that
10 the coal dust could have been a factor
11 in the ignition?
12 MR. HIEB:
13 The dust really would
14 have been --- that was used for the
15 determination of force direction would
16 have been a combination of soot and
17 fine dust material, a combination of
18 rock dust, some coal dust, some floor
19 dust.
20 MR. BENNETT:
21 So somebody referred to
22 maybe coal dust being a factor?
23 MR. UROSEK:
24 I think that's one of the
25 things that we mentioned in our

Page 1133

1 presentation as part of the evaluation
2 of what we will do. And again, this is
3 when it's completed and we're able to
4 determine a final pressure that was
5 developed. We'll be able to take that
6 information, we'll be able to look at
7 the amount of methane or fuel, that
8 fuel that was available in the area,
9 and we'll be able to evaluate was there
10 sufficient fuel in that, of the methane
11 that was there, to create the force
12 necessary that we saw at the mine.
13 That evaluation plus the samples that
14 we've been able to take to make that
15 determination if and how much coal dust
16 may have been involved or played a
17 factor.

18 MR. BENNETT:
19 And you have been in the
20 mines; right?

21 MR. UROSEK:
22 Pardon me?

23 MR. BENNETT:
24 You have been in the
25 mines?

Page 1134

1 MR. UROSEK:
2 Yes, sir.

3 MR. BENNETT:
4 And is it a wet mine?

5 MR. UROSEK:
6 Yes, it is. It's damp.

7 MR. BENNETT:
8 Can you prove that the
9 belt hangers wasn't bent upon
10 installation?

11 MR. HIEB:
12 I can't prove that, no.

13 MR. BENNETT:
14 Were there any bolts,
15 plates, pans, that were blown directly
16 out from the roof area, possibly
17 showing the explosive force?

18 MR. HIEB:
19 At which location?

20 MR. BENNETT:
21 Let's say behind the
22 seals.

23 MR. UROSEK:
24 Monte, I think I ---
25 there were a number of the bolts and

Page 1135

1 the plates that were damaged, or I
2 should say the pie pans that were
3 damaged at the various places. And I
4 think that was part of the information
5 to develop --- try and determine where
6 the forces were. As you know, we're
7 trying to take that information and
8 we're also installing pie pans and belt
9 hangers at the Lake Lynn Mine to
10 determine what happens to those plates
11 and the hangers when they're exposed to
12 forces that we know what the pressures
13 are exposed against them.

14 MR. BENNETT:
15 And the wire mesh was
16 also blown down, tore up? I mean, was
17 it all going in one direction or ---?

18 MR. UROSEK:
19 It was damaged in
20 different parts of the mine and it
21 --- I won't say that it was one
22 direction, because it would be in
23 multiple directions, but the
24 indications are that it did in the area
25 of the seals, it did come from inby the

Page 1136

1 seals to the outby direction.

2 MR. BENNETT:
3 Another thing I'm having
4 a hard time with. I was at Spruce One
5 and my safety director talked to MSHA
6 and tried to get a plan to store the
7 belt wearable SCSRs. And they told
8 him, there was no use to submit a plan,
9 because they wasn't going to let him do
10 that. If this had happened, all these
11 men, except for one, would still be
12 alive. And now, they're allowed to
13 store those because of this accident.
14 That's just absurd.

15 MR. UROSEK:
16 I'll try to address that
17 one. When SCSRs first came out, the
18 person wearable self-rescuers, there
19 were some mines that rather than have
20 the miner actually carry that on his
21 belt, the miner would carry the old W-
22 65 that doesn't contain oxygen. And
23 they would caché these
24 self-rescuers at certain locations
25 throughout the mine. And that's ---

Page 1137

1 I'm sure that's what they're talking
2 about, they wanted to do at that time.
3
4 By not getting that
5 approved, what it meant, every miner
6 had that SCSR on his belt and he knew
7 right where it was. In this case, if
8 the miners, when the accident happened,
9 they would have had to don the W-65,
10 which does not contain oxygen. They
11 would have had to go to some location
12 where they would have been stored to
13 get them. I'm not sure where that
14 would have been, but --- and I'm not
15 exactly sure where they were. But we
16 do know that they had them on their
17 belt and they were able to get to them
18 immediately.
19 And that is part of the
20 information as to why they could have
21 been cached rather than carried. And
22 the decision was, it's better that the
23 miner has it right with him to put it
24 on immediately, rather than depend on
25 the old W-65 that doesn't contain

Page 1138

1 oxygen.
2 MR. BENNETT:
3 But it was a storage plan
4 for the belt wearables and they
5 wouldn't allow it, but now they're
6 being stored underground.
7 MR. UROSEK:
8 They are, in addition to
9 what the miners ---
10 MR. BENNETT:
11 Right.
12 MR. UROSEK:
13 --- they still have it on
14 their belt and there's additional ones
15 stored.
16 MR. BENNETT:
17 And do you not agree if
18 they would have had those on the
19 section, they would have probably been
20 with us today?
21 MR. UROSEK:
22 I think if they would
23 have had additional oxygen devices,
24 yes, they would have had a much greater
25 chance of being here today.

Page 1139

1 MR. BENNETT:
2 That's a shame, isn't it?
3 MR. UROSEK:
4 Yes, it is.
5 MR. BENNETT:
6 Yes, it is. Did you have
7 someone available to drill a 24-inch
8 hole? If so, why was it not done
9 instead of wasting time drilling a
10 six-inch hole?
11 MR. UROSEK:
12 The six-inch hole was
13 really put down for speed. It takes a
14 lot longer to put down a 24-inch hole.
15 The six-inch hole, the purpose of the
16 six-inch hole was one, I think it was
17 explained earlier, to determine the
18 atmosphere in the area. Two, to ---
19 when the drills first went through and
20 there was a silent period, if the
21 miners were in that area, they could
22 signal to the people on the surface
23 that they were there. That
24 communication device could have been
25 put down. The television camera was,

Page 1140

1 again, to do the same thing, to look in
2 the area, to see the conditions,
3 possibly see the miners. Once the
4 small hole is down there, if the miners
5 were in that area, a number of things
6 could have been done, communications,
7 air could have been put down to them,
8 there's a lot of things with that. And
9 then if the mine rescue teams would not
10 have been able to get to them, I'm sure
11 a larger diameter hole would have been
12 immediately started to get to them,
13 which would have taken, anyhow, quite a
14 while.
15 MR. BENNETT:
16 Throughout the whole
17 process, and I have lived it over and
18 over again, I feel that there was not a
19 sense of urgency until you guys drilled
20 that hole and until you found out those
21 men left that mantrip and then
22 everything picked up from there. Can
23 you --- do you have any explanations on
24 that or ---?
25 MR. UROSEK:

1 I know I was in the
2 command center and I arrived that night
3 about nine o'clock? And I know that
4 the people in the command center were
5 very cognizant that the time was very
6 precious. And I know they were doing
7 everything they could do to get to the
8 miners as fast as they could without
9 risking the lives of the mine rescue
10 teams or doing something that would
11 cause ill effect to the miners if they
12 were there.

13 MS. HAMNER:

14 We have a young
15 grandchild, a grandson of one of the
16 fallen miners in the audience and he
17 has a heartfelt question that he'd like
18 to ask. How do you explain that you
19 did not do everything in your power to
20 bring our men out?

21 MR. UROSEK:

22 I could just speak for
23 the folks who were in the command
24 center when I was there, and I know
25 that we did everything in our power to

1 try to get to those miners.

2 MR. BENNETT:

3 If I'm --- correct me if
4 I'm wrong, but in our other interviews,
5 you've told us that there has been
6 explosions over 20 psi. I'm not saying
7 in West Virginia or the United States.

8 Is that correct?

9 MR. UROSEK:

10 There has been
11 information that we went back through.
12 In fact, I think it was in '97 at the
13 Oak Grove Mine where one of --- there
14 was a series of seals that were damaged
15 by an explosion. We went back through
16 our records to try and determine what -
17 -- how that information got there and
18 what was done to it. Upon evaluation
19 of that what we learned is after that
20 report was got out, MSHA did take that
21 into consideration as to try and
22 determine what needed to be done and
23 if, indeed, that was. There was
24 additional information obtained. The
25 reason that particular explosion

1 indicated that it was over 20 psi was
2 solely based on the construction of the
3 seals. And they had a limited number
4 of samples of --- it was a different
5 type of seal than was used here at
6 Sago. It was a cementitious foam.
7 After they went back and relooked at
8 that and revisited, they gathered
9 additional information and additional
10 number of samples. After they saw
11 those samples, they realized that those
12 samples were below the compressive
13 strength that was required of those
14 typos of seals. So therefore, the
15 conclusion that it was over 20 psi was
16 in error.

17 MR. BENNETT:

18 It was there?

19 MR. UROSEK:

20 It was in error, yes.

21 MR. BENNETT:

22 It was in error?

23 MR. UROSEK:

24 Yes.

25 MR. BENNETT:

1 Can you tell us how you

2 can tell the difference between an old
3 roof fall behind the seals and a new
4 one?

5 MR. UROSEK:

6 There are other folks on
7 our team that would have looked at
8 that, but I can just give you some
9 generalities. The amount of dust that
10 would have been there, obviously there
11 would have been --- on some of the
12 falls, there would have been records
13 from the company as to when that fall
14 occurred. On some of the ones that
15 would have occurred after the
16 explosion, the amount of dust that
17 would have been on those falls can give
18 you some information, some insight into
19 that.

20 MR. BENNETT:

21 Do you feel in your

22 personal opinion that the Omega blocks
23 are safe to use?

24 MR. UROSEK:

25 At this point in time,

Page 1145

1 the test that we just completed in 2006
2 indicates that the Omega block seals
3 that if they're constructed as
4 according to the way they were in 2001
5 and again in the 2006 tests, that they
6 will withstand an explosion pressure of
7 20 psi.

8 MR. BENNETT:
9 Okay. Even though you
10 know that you can drop that Omega block
11 on the floor and it will bust and turn
12 into dust, you feel that it's good to
13 use those?

14 MR. UROSEK:
15 Our testing has shown
16 that those blocks did withstand the
17 pressure of up --- up to 26 psi with no
18 ill effects at all.

19 MR. BENNETT:
20 But you are aware that
21 these seals failed these men; correct?
22 Not --- I'm not saying construction.
23 I'm just saying they failed. Whether
24 it was your 20 psi rating that you guys
25 required or what, they failed.

Page 1146

1 MR. UROSEK:
2 I agree they did. And
3 they failed catastrophically. That's
4 one of the things that we're looking
5 into. And obviously when we receive
6 information or conclusions that we're
7 able to determine whatever happened,
8 whether it be something with the
9 blocks, whether it be something with
10 the cribs that were located behind it,
11 whether it be located with excessive
12 pressures, whatever that fact may be, I
13 can tell you that MSHA will take
14 appropriate action to ensure whatever
15 needs to be done is done.

16 MR. BENNETT:
17 And you're currently
18 letting coal mines install these seals
19 in their mines?

20 MR. UROSEK:
21 Yes.

22 MR. BENNETT:
23 Yeah. In your testing
24 these seals, you guys --- I mean, you
25 didn't hit it with direct force. And I

Page 1147

1 don't understand why you're --- you
2 done that in crosscuts; is that
3 correct?

4 MR. UROSEK:
5 Yes, that's the testing
6 method that was prescribed back in the
7 1971 testing or information that the
8 regulations were based on. That was
9 the method that was set up and that's
10 why the testing was done as it was.
11 And that's something also that we're
12 looking into now with this latest
13 program.

14 MR. BENNETT:
15 So you think that maybe
16 your testing needs changed?

17 MR. UROSEK:
18 It very well may. That's
19 something that we're looking into. And
20 it if it needs changed, we will change
21 it.

22 MR. BENNETT:
23 In your opinion, had the
24 seals been built with concrete blocks
25 and all stoppings been built with

Page 1148

1 concrete blocks as opposed to
2 lightweight Omega blocks, do you feel
3 it is possible that the seals and
4 stoppings would have withstood the
5 explosion?

6 MR. UROSEK:
7 Again, that's a pretty
8 difficult question because we don't
9 know what pressures that these seals
10 were exposed to. When we learn that
11 information, I might be able to better
12 answer your question as to that.

13 MR. BENNETT:
14 You mentioned the curing
15 time. What exactly do you mean by
16 that?

17 MR. UROSEK:
18 Curing time is the time
19 that the --- from the time that the
20 concrete or the product or the seal was
21 put together until the time that we put
22 a force against them. In this case,
23 any concrete product reaches the
24 majority of its strength in 28 days.

25 MR. BENNETT:

1 Okay. There's been talk
2 about green blocks. Is there a curing
3 time on these blocks before they're
4 sent to the mines?
5 MR. UROSEK:
6 That's something that
7 we're looking into. I can tell you
8 some of the early information we have
9 from the manufacturer that the blocks
10 are cured onsite at their plant for 14
11 days before they're even shipped out.
12 We don't know exactly at this point,
13 when the blocks that were used at Sago
14 were shipped from the plant to the mine
15 and what that time period would have
16 been. But we do know that the seals
17 were completed --- at least eight of
18 the ten seals were completed 28 days
19 before the event occurred. So the
20 blocks would have been at least 28 days
21 old.
22 MR. BENNETT:
23 Okay. And if these
24 blocks wasn't cured from the factory,
25 could that have played a role in this?

1 MR. UROSEK:
2 Again, that's something
3 we're looking into. But since they
4 were at the mine and the seals were
5 completed for 28 days, the blocks would
6 have been cured for those --- for that
7 28-day period.
8 MS. HAMNER:
9 Mr. Gates, if a State
10 inspector is present at this hearing,
11 why is the Sago Mine Federal inspector
12 not here to address the hearing?
13 MR. GATES:
14 Why is a Federal
15 inspector not here to address the
16 hearing, is that the question?
17 MS. HAMNER:
18 Yes.
19 MR. GATES:
20 I mean, I am a, I guess,
21 a member of MSHA as is John. There
22 were two District Three personnel who
23 were members of the previous Panels.
24 This Panel here was designed to address
25 the accident investigation and there

1 were no persons from District Three who
2 were involved in the investigation.
3 MS. HAMNER:
4 Mr. Gates, did you ever
5 inspect the Sago Mine prior to the
6 explosion?
7 MR. GATES:
8 No, ma'am.
9 MS. HAMNER:
10 Davitt told the families
11 that we would be able to request the
12 witnesses that would be here today. I
13 requested John Boni, Denver Wilfong and
14 Al Schoonover. None of those people
15 are present here today. From reading
16 Mr. Toler's transcript from the MSHA
17 hearings (sic), I understand from Jeff
18 Toler's transcript that Jeff relied on
19 a team of three management people, one
20 being Carl Crumrine, the mine foreman
21 who was here and has testified. The
22 other two being Dick Wilfong, the
23 maintenance foreman and Al Schoonover,
24 the safety director. I've been told
25 that MSHA requested that they not be

1 present to testify because you have
2 them under investigation for possible
3 criminal charges; is that correct?
4 MR. CLAIR:
5 Let me answer that. We
6 did, in fact, request that those
7 individuals not be present and testify
8 at this hearing. There is another
9 investigation. It is not a criminal
10 investigation.
11 MS. HAMNER:
12 I'm sorry, I couldn't
13 hear. What kind of investigation?
14 MR. CLAIR:
15 There is an additional
16 investigation being conducted, but at
17 this time, I just would prefer not to
18 go into that.
19 MS. HAMNER:
20 And that is Denver
21 Wilfong and Al Schoonover. Is Johnny
22 Boni also included in that?
23 MR. CLAIR:
24 Ma'am, I'm not going to
25 answer that question. It is an

1 extremely sensitive matter and I just
 2 am not prepared to address it.
 3 MS. HAMNER:
 4 For the record, I want to
 5 express my dissatisfaction that the
 6 hearings, the MSHA hearings, were not
 7 open to the public and the family
 8 members weren't allowed to attend.
 9 From reading the transcripts, there's
 10 too many I don't know and there's
 11 enough follow-up. For instance, Johnny
 12 Boni --- first, I want to ask a
 13 question. Mr. Gates, did you seize the
 14 fire boss records immediately upon
 15 getting at this Sago Mine January 2nd?
 16 Were those seized? Do you have those
 17 in your possession right now?
 18 MR. GATES:
 19 I believe the District
 20 personnel who were onsite immediately
 21 on the day of January 2nd did, in fact,
 22 take the mine records, either on that
 23 day or possibly January 3rd.
 24 MS. HAMNER:
 25 When can we see those?

1 Can we see those?
 2 MR. GATES:
 3 The mine records have
 4 been requested on some occasions and I
 5 believe a decision has been made to, in
 6 fact, release those records, so yes,
 7 you can.
 8 MS. HAMNER:
 9 Is Johnny Boni's notes
 10 that he took from Terry Helms --- I
 11 understand Terry Helms called out his
 12 report that morning. And Johnny took
 13 those and supposedly wrote those down
 14 in the records. Are those there? Have
 15 you read those?
 16 MR. GATES:
 17 I think some of the
 18 records were provided to you yesterday,
 19 I believe. but ---.
 20 MS. HAMNER:
 21 I don't have them in my
 22 possession, someone might.
 23 MR. GATES:
 24 Okay. But we do, in
 25 fact, as I mentioned on --- shortly ---

1 while the rescue recovery was going in
 2 or immediately following that, those
 3 mine records were, in fact, gathered by
 4 MSHA. And we do have them and I
 5 believe the ones that you were
 6 referring to were provided yesterday,
 7 if I'm correct. Mr. Chairman?
 8 CHAIR:
 9 I believe they were
 10 provided yesterday and they are being
 11 made available.
 12 MS. HAMNER:
 13 Terry Helms called ---
 14 Johnny testifies that Terry Helms
 15 called out two small violations. Can
 16 you tell us what those two small
 17 violations were?
 18 MR. GATES:
 19 No, I can't.
 20 MS. HAMNER:
 21 My husband's dead.
 22 There's no small violation to me. As
 23 part of your investigation, was Terry
 24 Helms' notebook found with these notes
 25 from fire bossing?

1 MR. GATES:
 2 I can't answer that
 3 question right now, but I will, in
 4 fact, try to get back with you, get
 5 that response to you.
 6 MS. HAMNER:
 7 Fred Jamison testified
 8 that he lost his notes, but you do have
 9 the books where he wrote down his notes
 10 that morning and you have reviewed
 11 those?
 12 MR. GATES:
 13 Again, I believe the
 14 examination, the results of the
 15 examination that you're referring to
 16 were, again, part of the information
 17 that was provided yesterday, I believe.
 18 CHAIR:
 19 Yes.
 20 MR. GATES:
 21 Yes.
 22 MS. HAMNER:
 23 As part of your
 24 investigation, did you find that his
 25 initials were at the face?

1 MR. GATES:
 2 There were dates, times
 3 and initials on several locations on
 4 the Two Left section.
 5 MS. HAMNER:
 6 Mr. Gates, can you tell
 7 us when your report may be completed
 8 and when we can expect to receive that?
 9 MR. GATES:
 10 Unfortunately, I can't
 11 give you an exact date. I think John
 12 had mentioned a little earlier some of
 13 the testing that's ongoing with the ---
 14 with the seals at the Lake Lynn
 15 facility. And certainly the
 16 information that we'll gather ---
 17 gather from those tests will be crucial
 18 to finalizing the report. I know he
 19 mentioned that the length of time to
 20 conduct all those tests, one test will
 21 be dependent on the results of the
 22 previous one. But I guess I'm in hopes
 23 that within three to four months that
 24 those tests would be completed and that
 25 would give us ample time to finalize

1 the report.
 2 MS. HAMNER:
 3 Do you feel that your
 4 investigation was thorough, and what
 5 could you have done to make it better?
 6 MR. GATES:
 7 Well, as we've mentioned
 8 earlier, the investigation is still
 9 ongoing. And yes, I do believe it has
 10 been thorough to date and it will
 11 continue to be thorough as we explore
 12 the --- explore the test results, the
 13 records and the data that we have at
 14 present.
 15 MS. HAMNER:
 16 Were you the one that
 17 testified to the roof enormity (sic)
 18 that was found in --- the enormity that
 19 was found in the roof behind the sealed
 20 area? Or was that Mr. Dean? I'm not
 21 sure.
 22 MR. GATES:
 23 I think we both made a
 24 comment about the --- about the anomaly
 25 at one time this morning.

1 MS. HAMNER:
 2 I'm confused about what
 3 you said about that. Did you say that?
 4 What did you feel that was caused
 5 from?
 6 MR. GATES:
 7 I believe I said that on
 8 two occasions there have been samples
 9 of the mine roof from that area that
 10 have been taken and that the thin
 11 sections of the samples have been
 12 examined under a microscope. And
 13 there's been no evidence to show that
 14 there was any re-crystallization of any
 15 of the rock and any that there were, in
 16 fact, fossil characteristics that were
 17 found.
 18 MS. HAMNER:
 19 Did you take those
 20 samples or were you given those samples
 21 from ICG?
 22 MR. GATES:
 23 We were --- I personally
 24 was not present, but there were several
 25 of the inspection parties who were

1 present when the first set of samples
 2 were taken. And to the best of my
 3 knowledge, once those samples were
 4 collected by a consultant that had been
 5 retained by ICG that they were --- that
 6 it was sometime after that before MSHA
 7 received a part of that sample. And
 8 subsequent to that, there has been
 9 additional samples taken from the area
 10 that, in fact, the --- MSHA and I
 11 believe as well as the State did take -
 12 -- did take possession of those at the
 13 time the samples were taken.
 14 MS. HAMNER:
 15 This is a question for
 16 John. You referred to the Jim Walters
 17 Mine in Alabama. I've seen the UMW
 18 reports with their recommendations for
 19 changes in MSHA's laws. The Alabama
 20 widows feel that if these changes had
 21 been implemented by MSHA that Sago
 22 would not have occurred. Are you aware
 23 of this report? Have you read it?
 24 MR. UROSEK:
 25 I am aware of the report

1 and I did read it, but it's been a long
2 time ago since I've read it. I'm not
3 that familiar with their conclusions.
4 MS. HAMNER:
5 Were any of those ---
6 you're not familiar, so you don't know
7 if any of those recommendations were
8 implemented?
9 MR. UROSEK:
10 I do not.
11 MS. HAMNER:
12 And who would have been
13 responsible for doing that?
14 MR. MCKINNEY:
15 I'll try to respond to
16 that question. Can you hear me? The
17 report came out, and I'm like John, I
18 read the report sometime back when the
19 investigation was there. We looked
20 through it, and I'm going to the best
21 of my recollection. There were
22 comments in there about the
23 communication systems and things like
24 that and improvements in those areas.
25 Those would have taken regulatory

1 changes ---
2 MR. BENNETT:
3 Yeah.
4 MR. MCKINNEY:
5 --- to mandate those.
6 And also there would have had to have
7 been technology available for those.
8 And I think that's one of the things
9 we're doing today, that's to try to
10 determine if technology's out there
11 that would improve the communication
12 system. So even at this point in time,
13 I think we're looking forward to
14 seeing, can we create a market and can
15 we get better technology and
16 communications. And that's what I
17 remember being in the report, but there
18 may have been something else, I can't
19 recall.
20 MS. HAMNER:
21 Did Mr. McKinney answer
22 the question? I'm sorry. I was
23 interrupted and didn't hear all the
24 answers. Does any of the family want
25 to follow up on that?

1 MR. BENNETT:
2 You was talking about the
3 communications; is that correct?
4 MR. MCKINNEY:
5 Excuse me?
6 MR. BENNETT:
7 The communications?
8 MR. MCKINNEY:
9 That's what I recall
10 remembering in the report, was
11 communication devices.
12 MR. BENNETT:
13 Do you plan on using
14 communication?
15 MR. MCKINNEY:
16 Do I plan on using it?
17 MR. BENNETT:
18 Yeah. Are they going to
19 use them? I mean, they had the
20 seismograph and didn't use it. Why
21 --- what's the ---?
22 MR. MCKINNEY:
23 I think the question is,
24 is there communication out there, is
25 technology available that can stand

1 explosion hazards with miners. That's
2 what we're striving to look at right
3 now. And there's been several
4 committees and two or three seminars
5 put together to explore that, not only
6 the United States but what other
7 countries may have that we're capable
8 of using right now.
9 MR. BENNETT:
10 But our country had the
11 seismograph and it didn't get used, so
12 --- that's all we had, so ---.
13 MS. HAMNER:
14 Davitt's requested a
15 short break.
16 CHAIR:
17 Thank you. We'll take
18 five minutes and come back. Thanks
19 very much.
20 SHOT BREAK TAKEN
21 CHAIR:
22 All right. Let's go back
23 on the record. We'll continue with
24 questions from Ms. Hamner and Russell.
25 I think we can go ahead.

Page 1165

1 MS. HAMNER:
2 John, just one more
3 question on the Jim Waters' report from
4 Alabama. Did I understand you to say
5 that technology is delaying the
6 communications aspect?
7 MR. MCKINNEY:
8 I don't think John
9 responded to that. I think I did.
10 MS. HAMNER:
11 Oh, I'm sorry, Mr. ---.
12 MR. MCKINNEY:
13 That's not a problem at
14 all. We sort of had some information
15 going back and forth. What I said was
16 technology seems to be a challenge.
17 And we're having meetings now in
18 different areas throughout the United
19 States to find if there are better
20 communication systems where we can have
21 a two-way communication system
22 underground that would withstand an
23 explosion and still be in existence in
24 the aftermath so we could contact
25 people who were trapped or they could

Page 1166

1 contact us.
2 MS. HAMNER
3 But other countries have
4 this communication system, this
5 technology, this communication system;
6 is that right?
7 MR. MCKINNEY:
8 Well, we have people in
9 our Tech Support Division that are
10 traveling to other countries now to
11 gather that information. And we also
12 have some ongoing tests at a mine in
13 West Virginia where we're examining
14 communication systems. And to my
15 knowledge, I don't know that there's
16 one out there presently that will
17 handle the explosion potential after a
18 mine disaster. Now, there may be one I
19 don't know about, but I'm not aware of
20 one if there is.
21 MS. HAMNER:
22 Mr. Gates, the fire boss
23 records, we do have those. We don't
24 have any fire boss notes. Did I
25 understand you to say that you weren't

Page 1167

1 going to give us any of those? Do you
2 have any of those? Did I understand
3 you to say you weren't going to give us
4 any of those?
5 MR. GATES:
6 No, I don't believe
7 that's what I said. And I'm not sure
8 now, are you referring to the records
9 from Mr. Helms' and Mr. Jamison's
10 pre-shift. I'm not sure what notes
11 maybe you're referring to. I'm sorry.
12 MS. HAMNER:
13 Did you find notes on
14 Terry Helms ---?
15 MR. GATES:
16 As I mentioned to you, I
17 would get back to you on that, with
18 that response. I do not know if there
19 were any that were recovered or not.
20 MS. HAMNER:
21 Jamison's notes, any
22 notes from John Boni, if you have
23 those, we'd like those.
24 MR. GATES:
25 Okay.

Page 1168

1 MS. HAMNER:
2 What about electrical
3 grounding records?
4 MR. GATES:
5 Grounding records from
6 the --- company records, is that ---?
7 MS. HAMNER:
8 Yes. Uh-huh (yes).
9 MR. GATES:
10 I'm not really sure
11 specifically what records you may be
12 referring to.
13 CHAIR:
14 We can ask the company
15 for those records, since we don't know
16 what those records are.
17 MS. HAMNER:
18 We've focused a lot on
19 the cause of the explosion. But as
20 Cecil Roberts indicated yesterday, as
21 it was brought out from his
22 questioning, only one man perished from
23 the explosion. We'd like to follow up
24 on why our men couldn't walk out. Was
25 there anything to physically prevent

1 our men from being able to walk out
 2 besides the malfunction of the SCSRs?
 3 MR. UROSEK:
 4 I think one of the things
 5 that's going to be important to answer
 6 that question fully is what information
 7 we can gain from Mr. McCloy. I mean,
 8 the mine rescue teams were able to get
 9 back in. There was some debris that
 10 needed to be moved. But the debris
 11 wasn't such that it would totally block
 12 the air courses. I'm not sure of how
 13 thick the smoke may have been in the
 14 area or the extent of that smoke.
 15 Again, that's some information
 16 hopefully we can get from Mr. McCloy.
 17 MR. BENNETT:
 18 But 40-some hours, the
 19 smoke was all cleared out and nice and
 20 clear so you guys could see to go in.
 21 MR. UROSEK:
 22 Yeah. The particulate
 23 matter that had risen is what creates
 24 the smoke. The CO still was there, but
 25 the smoke itself had dissipated.

1 MR. BENNETT:
 2 Why were the surveyors
 3 called at 8:00 a.m. and told they would
 4 be transported by helicopter and police
 5 escort and then told at 6:00 to drive
 6 up on their own?
 7 MR. GATES:
 8 I'm not sure what
 9 particular surveyors you're speaking of
 10 or who they may have had the
 11 communications with.
 12 MR. BENNETT:
 13 But you'll find that out?
 14 MR. GATES:
 15 Yeah. If that's a
 16 request for information, we'll
 17 certainly try to track that down for
 18 you.
 19 MR. UROSEK:
 20 I can speak that that
 21 information has not come out in any of
 22 the interviews that I know of of that
 23 problem.
 24 MR. BENNETT:
 25 Maybe I can get you a

1 little more information on it, maybe,
 2 if I can figure out who this question
 3 came from.
 4 MR. GATES:
 5 Brian, do you have any
 6 recollection or any knowledge of ---?
 7 MR. MILLS:
 8 I believe the only person
 9 from the surveying or engineering crew
 10 was Gary Hartsog that we interviewed.
 11 And I don't remember him saying
 12 anything to that.
 13 MR. UROSEK:
 14 And the company may have
 15 information to answer that.
 16 MR. BENNETT:
 17 If lightning caused the
 18 charge in the electric distribution
 19 line, how many grounding systems failed
 20 between the point of initial charge
 21 from lightning and the point of
 22 ignition in the sealed area?
 23 MR. HIEB:
 24 I'm sorry. Repeat the
 25 question, please.

1 MR. BENNETT:
 2 If lightning caused a
 3 charge in the electric distribution
 4 line, how many grounding systems failed
 5 between the point of initial charge
 6 from lightning and the point of
 7 ignition in the sealed area?
 8 MR. HIEB:
 9 I don't believe I can
 10 adequately answer that about this.
 11 MR. BENNETT:
 12 Do you agree that the
 13 butt grounds and --- do you not believe
 14 that it should have been dissipated
 15 before it traveled that far?
 16 MR. HIEB:
 17 Off which power line?
 18 The 12KV power line?
 19 MR. BENNETT:
 20 You tell me. Which one
 21 do you think it entered?
 22 MR. HIEB:
 23 Well, some of the
 24 structures on the 12KV line were butt
 25 grounded. Not all of them.

Page 1173

1 MR. BENNETT:
2 Should they have been?
3 MR. HIEB:
4 I'm not an electrician.
5 I'm not the one to answer that.
6 MR. BENNETT:
7 Who made the decision to
8 start the rescue team at the portal
9 instead of at the 57 block?
10 MR. GATES:
11 I believe that question
12 has been asked on several of the
13 earlier panels, and that's not really
14 within the scope of the investigation
15 team, per se. So I don't think we've
16 got any information to add that hasn't
17 been brought out in earlier
18 discussions.
19 MR. BENNETT:
20 Are you not investigating
21 these men's deaths?
22 MR. GATES:
23 That's correct.
24 MR. BENNETT:
25 Well, that's part ---

Page 1174

1 that should be part of the
2 investigation team. We need to know
3 that. I would like to personally know
4 that. Because they were told they
5 could by very good men. And later I'll
6 thank them for that. And I would like
7 to know who made that decision.
8 MR. GATES:
9 Again, Brian, do you or
10 Mike have anything to add?
11 MR. RUTLEDGE:
12 As has been discussed in
13 several earlier panels, that decision
14 was made by the people in the command
15 center at the time. I don't know who
16 those people were at that particular
17 time, but that was a decision that was
18 made again by the state, by the
19 federal, by the company, from those
20 people that were in the command center
21 at that time.
22 MR. BENNETT:
23 So far I've heard a state
24 inspector stand up here and say
25 --- I asked him why were we not

Page 1175

1 starting at 57 block. So far I heard
2 Jeff Toler say, why are we not starting
3 at 57 block. And I have also heard
4 Dick Wilfong say, go to 57 block. I
5 don't feel that there's a fire. And I
6 personally know Dick Wilfong, and he is
7 a very knowledgeable and intelligent
8 man. And is --- these days, is a man
9 not as good as his word?
10 CHAIR:
11 Russell, if I might, I
12 think yesterday, in answer to a
13 question similar to that, it was
14 expressed by both the federal and the
15 state agency that they would try to
16 answer that. They didn't have the
17 answer then. But I think the point is
18 well taken. We need to try to get an
19 answer to that question of how that
20 decision was made. But we didn't have
21 that answer. And I think for the
22 record we can say we'd like to get an
23 answer to that question.
24 MR. BENNETT:
25 Has anyone checked the

Page 1176

1 psi that it would take to turn an Omega
2 block seal into dust?
3 MR. UROSEK:
4 As I indicated, that's
5 one of the circumstances that we're
6 evaluating in the testing that we're
7 doing at Lake Lynn. The failures that
8 we've seen at Lake Lynn have not been
9 that catastrophic, so we have ---
10 that's why we need to do the testing,
11 both with higher pressures, with the
12 crib blocks, to try and evaluate what
13 happened.
14 MR. BENNETT:
15 And these tests will be
16 done in a controlled environment. How
17 do you feel about that as far as, I
18 mean, being in a controlled environment
19 and being at Sago?
20 MR. UROSEK:
21 Well, obviously, you
22 know, we can't duplicate the exact
23 conditions at Sago, but we can
24 duplicate the pressures --- or not
25 duplicate them, but actually try

1 different pressures, trying to evaluate
2 the blocks as they are constructed to
3 try to get a better understanding. I
4 think at the completion of the tests,
5 at least I'm hopeful that we'll have a
6 better understanding and we will be
7 able to come back and have some answers
8 for you on that.

9 MR. BENNETT:
10 There was an article that
11 stated that the Omega blocks, one time
12 or another, failed at 17.5 psi. I was
13 wondering if you was aware of any time
14 that --- or where that came about or --
15 -.

16 MR. UROSEK:
17 In the testing done in
18 the 1990s and I believe even part of
19 this 2001 test, there were different
20 configurations tried. For example, the
21 one here was the 40-inch type that's
22 not hitched. There are other types of
23 Omega block seals that have been
24 approved that will withstand to 20 psi.
25 There have been other types of Omega

1 Well, as far as the
2 failure of the seals and the SCSRs, I
3 think if we do find --- when all the
4 information is complete and we're able
5 to analyze it, if we do find there are
6 shortcomings, I'm sure that the agency
7 will address those and improve whatever
8 they need to do to ensure that those
9 items are safe.

10 MR. BENNETT:
11 But yet we let our men go
12 underground and risk their lives to
13 produce coal, which ---?

14 MR. MCKINNEY:
15 I may be better to
16 respond to that than this group since
17 they're talking about the investigation
18 itself. As Brian said, we've done
19 multiple inspections at the mine,
20 electrical and complete inspections,
21 since the miners went back to work.
22 We've had a lot of attention to that
23 mine. Most of you heard from Ken
24 Tenney. Ken was there from the day the
25 mine went back into production. We

1 block seals, as well as other types of
2 seals, that have been tried that did
3 not pass.
4 MR. BENNETT:
5 With all the violations
6 prior to the explosion, after the
7 explosion how do you know that the Sago
8 Mine is a safe mine and continue to
9 operate?

10 MR. MILLS:
11 On behalf of the state,
12 we have did a regular inspection there
13 this year already. We've had two
14 electrical inspectors on the property.
15 I don't believe there are --- well, I
16 know there's no conditions that we know
17 of that say that the mine is not safe.

18 MR. BENNETT:
19 How could you be sure
20 that any mines is safe to operate when
21 possibly your 20 psi ratings failed,
22 possibly your self-contained self-
23 rescuers failed and possibly state and
24 MSHA failed?

25 MR. UROSEK:

1 have a volume of regulations and
2 policies that we enforce to ensure
3 safety and health. There are things we
4 test and we're looking at. Those
5 regulations are still in place, as they
6 were before. If the test shows
7 something differently, we'll make
8 evaluations of those things. But with
9 the tools and components we have right
10 now, I think we're working diligently
11 to make sure the mine is safe.

12 MR. BENNETT:
13 Unfortunately, it's too
14 late for that now, but I'm glad that
15 you're going to make changes and try to
16 make it as safe as possible.

17 The pie pans being bent
18 in different directions, would it be
19 possible that there were two blasts?

20 MR. UROSEK:
21 All indications that we
22 have at this point, that there was just
23 one blast.

24 MR. BENNETT:
25 How do you know that the

1 water traps were filled? What leads
 2 you to believe that?
 3 MR. UROSEK:
 4 If the water trap were
 5 not filled with water, then one would -
 6 -- again, I'll have to speculate, but
 7 then one would speculate that gas would
 8 travel through the water trap. And if
 9 it did, then when the seals were
 10 examined, they would have picked up
 11 whatever concentration of gas was
 12 behind the seals, in front of the
 13 seals, in the general area. And that
 14 didn't occur, from my understanding.
 15 MR. BENNETT:
 16 So do you know where the
 17 two-tenths was coming from or
 18 ---? Could it have been through the
 19 water traps or ---?
 20 MR. UROSEK:
 21 Well, as mentioned
 22 earlier, the seals --- all seals do
 23 leak to some degree. It depends on the
 24 pressure differential across them. So
 25 it's not unusual to find small

1 concentrations of methane on the fresh
 2 air side of seals. So that wouldn't be
 3 an unusual thing. One would expect if
 4 the water trap did not have water in
 5 it, then a much greater volume of
 6 whatever is on the other side of the
 7 seals would come through the water
 8 trap, and one would find a higher
 9 concentration or possibly even an
 10 accumulation of methane there.
 11 MR. BENNETT:
 12 Were there any places
 13 where the rock had fell out and
 14 possibly a pocket of methane
 15 accumulated outby the seal?
 16 MR. UROSEK:
 17 The evidence that we've
 18 reviewed to date indicates that the
 19 forces all came from inby the seals.
 20 It's very unlikely, if not impossible,
 21 to have an ignition on the outby side
 22 of the seals propagate through the
 23 seals to the location inside.
 24 MR. BENNETT:
 25 I guess this is --- did

1 you guys hold up ICG from submitting
 2 the plan? I mean, ---.
 3 MR. MCKINNEY:
 4 Again, I may be best to
 5 answer that. I'm going from the
 6 information we had yesterday. I think
 7 Davitt --- although they hadn't said
 8 anything, I think Davitt put those in
 9 the record yesterday, didn't you all,
 10 the plans, ---
 11 CHAIR:
 12 Yeah.
 13 MR. MCKINNEY:
 14 --- so there'd be a
 15 tracking record of that? And I think
 16 that was a question we had yesterday.
 17 Exactly when did the plan start? You
 18 know, what was approved and what wasn't
 19 approved. So that should be a part of
 20 the record. And I heard Kevin
 21 Stricklin say very clearly yesterday
 22 that, you know, he didn't hold anything
 23 up. He reviewed. He went through the
 24 process to get things moving. And it
 25 wouldn't have behooved any of us to try

1 to put any kind of undue restrictions
 2 on those. I'm sure any review that was
 3 made was for safety purposes.
 4 MR. BENNETT:
 5 It also says, why did you
 6 not take over and make a plan?
 7 CHAIR:
 8 I think we went over that
 9 yesterday just for a minute. But the
 10 process that's been in place, as far as
 11 I can recall, is that the plan --- the
 12 mine company has the responsibility to
 13 develop the plan. The thinking is that
 14 the mine company is the most
 15 knowledgeable about the mine, and that
 16 the federal and state agencies, as well
 17 as the rescue teams, if they are just
 18 coming into the mine, won't have the
 19 knowledge, the information, the
 20 background on the mine. So the concept
 21 is that the mine company prepares a
 22 plan, and that plan is then reviewed by
 23 the state and federal agency. And a
 24 determination --- a joint determination
 25 is made how to go forward and what is

1 considered best by the people who are
 2 in the room. And then decisions are
 3 made --- based on a continuing basis,
 4 are made in that systematic way.
 5 MR. MCKINNEY:
 6 I don't want anyone to
 7 misunderstand my answer. I wasn't
 8 making an inference that they didn't
 9 submit plans. And I think the question
 10 was, did we impede the plan approval
 11 process. So my answer is, as I
 12 understand it, no.
 13 MR. BENNETT:
 14 And who from the state
 15 was in there? If I recall, John
 16 Collins was saying, let's start at 57
 17 block.
 18 MR. MILLS:
 19 During the process, there
 20 were several people from the state in
 21 there, Director Conaway, Deputy
 22 Director C.A. Phillips, myself, John
 23 Collins, Robert True, Bill Takersly
 24 (phonetic), Mike Rutledge, several of
 25 our mine rescue guys were in the room

1 on occasion.
 2 MR. BENNETT:
 3 On occasions. But you
 4 don't know who made that call from your
 5 department?
 6 MR. MILLS:
 7 Who was ---?
 8 MR. BENNETT:
 9 You don't know who made
 10 that call from your department?
 11 MR. MILLS:
 12 Not to go to 57 block?
 13 MR. BENNETT:
 14 Right.
 15 MR. MILLS:
 16 I didn't know that that
 17 was even discussed.
 18 MR. BENNETT:
 19 Well, I think it should
 20 have been. That was a big role in the
 21 whole situation.
 22 MS. HAMNER:
 23 Who testified to the fact
 24 that there was ground --- problems with
 25 the grounding system at Sago?

1 MR. GATES:
 2 You're referring to the
 3 transcripts?
 4 MS. HAMNER:
 5 No. Didn't --- am I
 6 wrong or didn't some of you talk about
 7 grounding problems?
 8 MR. GATES:
 9 I think I may have
 10 mentioned that during the course of the
 11 investigation there were some
 12 noncontributory citations that had been
 13 issued for grounding issues and that
 14 those have been --- have all, in fact,
 15 been addressed and been terminated.
 16 MS. HAMNER:
 17 Can we request a list of
 18 these problems?
 19 MR. GATES:
 20 You certainly can, yes. A
 21 list of --- a copy of the citations; is
 22 that the request?
 23 MS. HAMNER:
 24 Yes, a list of the
 25 problems.

1 MR. MILLS:
 2 And if you would, I would
 3 make those available from the state.
 4 We also issued violations. If you
 5 would request that.
 6 MS. HAMNER:
 7 Can we request those now?
 8 MR. MILLS:
 9 Yes, ma'am.
 10 MS. HAMNER:
 11 From your investigation,
 12 did you determine whether any repairs
 13 were made to the ventilation controls
 14 that were damaged after MSHA and the
 15 state put the mine under a control
 16 order?
 17 MR. GATES:
 18 Is that all the question
 19 or do you ---?
 20 MS. HAMNER:
 21 Yeah. The question is,
 22 were repairs made to the ventilation
 23 controls that were damaged after MSHA
 24 and the state put the mine under a
 25 control order? And is it protocol to

Page 1189

1 leave the damaged area untouched until
2 the mine --- isn't it protocol to leave
3 the damaged area untouched until the
4 mine rescue teams access the area?
5 MR. GATES:
6 Well, I guess to address
7 the first part of the question, I think
8 that we showed on one of the earlier
9 animations that as some of the
10 gentlemen were proceeding into the mine
11 in the rescue efforts, that there were,
12 in fact, some of the damaged
13 ventilation controls that were repaired
14 with curtain.
15 MS. HAMNER:
16 Could these changes to
17 the ventilation system have resulted in
18 putting our miners in more harm's way?
19 MR. UROSEK:
20 One of the things that
21 we'll be trying to do is to evaluate
22 what would have --- what those changes
23 would have impacted the ventilation
24 system and whether or not that would
25 have forced some of the smoke and gases

Page 1190

1 further into Two Left.
2 MS. HAMNER:
3 There has been testimony
4 that the flames reached the seals. Is
5 there any indication as to how much
6 heat was generated from the blast?
7 MR. UROSEK:
8 That information is based
9 on the result of samples taken, the
10 dust samples, the coke samples. And
11 that's what gives you that indication
12 as to how far the flame went, as to the
13 size of the coke that's present in
14 those particles.
15 MS. HAMNER:
16 In his interview, Denver
17 Wilfong said that no lightning
18 arresters were on the trolley line.
19 Did your investigation determine if
20 that were true?
21 MR. GATES:
22 Yes. In fact, that was
23 true. That situation has been
24 addressed at the mine. And we, as I
25 mentioned earlier, are still

Page 1191

1 contemplating potential enforcement
2 actions to be taken.
3 MS. HAMNER:
4 As a result of your
5 investigation, did you find any other
6 violations of electrical regulations?
7 MR. GATES:
8 There were --- and I
9 don't recall the exact date, but there
10 have been approximately 100, 118, I
11 believe, citations that were issued as
12 noncontributory. A large percentage of
13 those did apply to electrical-related
14 issues. And those will, in fact, be
15 included in the request that you made
16 earlier, if you'd like copies of those.
17 MS. HAMNER:
18 If you're looking into
19 the pump and the wire mesh as an
20 ignition source, shouldn't that have
21 been removed from the section before
22 sealing off the area?
23 MR. HIEB:
24 The suggestion ---.
25 MS. HAMNER:

Page 1192

1 The pump?
2 MR. HIEB:
3 I'm sorry.
4 MS. HAMNER:
5 The pump?
6 MR. HIEB:
7 If it was taken as a
8 suggestion that that was the ignition
9 source, that was not the intention. It
10 was suggested that it was a possible
11 conducting path.
12 CHAIR:
13 The area has not been
14 sealed off.
15 MR. HIEB:
16 That's correct.
17 MS. HAMNER:
18 From your investigation,
19 did you find any rock dusting behind
20 the sealed area? Could you tell if
21 there had been rock dusting behind this
22 sealed area?
23 MR. UROSEK:
24 We did take samples from
25 behind that area. And those samples,

1 we're still in the process of
 2 evaluating that information.
 3 MS. HAMNER:
 4 Because I believe I read
 5 in a NIOSH report that it's not a
 6 regulation, but they would highly
 7 recommend that a sealed-off area like
 8 that be rock dusted. How do you feel
 9 about that?
 10 MR. UROSEK:
 11 I think what you're
 12 alluding to is the information in one
 13 of their bulletins that suggests that
 14 in an area of approximately 200 feet
 15 inby and outby the seals, that a heavy
 16 application of rock dust be applied in
 17 those areas.
 18 MR. GATES:
 19 And I think there has
 20 been some testimony given here at the
 21 hearing that there were, in fact,
 22 applications of rock dust that had been
 23 made on the outby --- certainly on the
 24 outby side of the seals.
 25 MR. BENNETT:

1 In the seal plan it says
 2 to build the seals ten feet inby the
 3 crosscut; is that correct?
 4 MR. UROSEK:
 5 Yes.
 6 MR. BENNETT:
 7 And it also says in case
 8 you have to build a seal in the future,
 9 on the outby side of it. Can you
 10 explain to me, why would you want to do
 11 that? I mean, is that because you're
 12 afraid that the seals would fail? Do
 13 you have an explanation for that?
 14 MR. UROSEK:
 15 I'm not really aware of
 16 that exact provision you're stating,
 17 but there has been incidents, for
 18 example, due to roof convergence or
 19 whatever that a seal may become
 20 comprised, where you do need to replace
 21 it with another seal in front of it.
 22 And that gives you some area to do that
 23 in.
 24 MR. BENNETT:
 25 So do all seal plans

1 state that or just Omega block?
 2 MR. UROSEK:
 3 I really don't know the
 4 answer to that, whether they do or do
 5 not.
 6 MR. BENNETT:
 7 We would like to know
 8 that, to see if it's just Omega block
 9 or ---. Why wasn't the borehole
 10 drilled at 57 or 58 block?
 11 MR. UROSEK:
 12 You mean during the
 13 rescue? I think that that borehole was
 14 started at one point. I'm not exactly
 15 sure. I know it was talked about. I'm
 16 not sure if it was started. But I
 17 believe the mine rescue teams were
 18 there before it could be completed.
 19 MR. BENNETT:
 20 What were the length of
 21 the bolts in the Two Left seals?
 22 MR. GATES:
 23 I'm not a
 24 hundred-percent certain, but I'm pretty
 25 sure they were six-foot --- six-foot

1 resin bolts, I think were the primary
 2 means of support in that area.
 3 MR. BENNETT:
 4 And cable bolts; is that
 5 correct?
 6 MR. GATES:
 7 As far as the cable bolt
 8 requirements in the plan, I don't
 9 really recall.
 10 MR. BENNETT:
 11 Did you not see any when
 12 you was up there?
 13 MR. GATES:
 14 There were some bolts
 15 there, yes. But whether or not they
 16 were required in a plan, I'm not
 17 certain.
 18 MR. BENNETT:
 19 So did you review these
 20 records, and was all the roof falls in
 21 the sealed area documented?
 22 MR. HIEB:
 23 Approximately 30 percent
 24 of the falls found were --- appeared on
 25 the mine map that we had prior to going

Page 1197

1 in. So some of them were documented
2 and existed prior to the seals being
3 installed, but there were several
4 others that had occurred after that
5 time.
6 MR. BENNETT:
7 How can you use the fact
8 of soot, because isn't the explosion
9 going to scatter soot and dust?
10 MR. HIEB:
11 Yeah. I think that's
12 part of what I was alluding to when I
13 said it's somewhat subjective on
14 determining the timing from some of the
15 criteria. That should not be the only
16 criteria used.
17 MS. HAMNER:
18 In your field search, did
19 you determine that the tree was hit by
20 lightning?
21 MR. HIEB:
22 Visually, from the
23 appearance of the tree, that was how
24 the determination was made.
25 MS. HAMNER:

Page 1198

1 Visually?
2 MR. HIEB:
3 Visually.
4 MS. HAMNER:
5 Were there any
6 transformers on the electrical poles
7 damaged, and did any residents around
8 this area report loss of power?
9 MR. HIEB:
10 We have spoken to a
11 number of residents, and we haven't, to
12 my knowledge, found any that had lost
13 power at that time.
14 MS. HAMNER:
15 We were originally told
16 that everything, cables, wires, were
17 removed from the sealed area. Why was
18 the cable still there?
19 MR. UROSEK:
20 There were no cables
21 extending through the seals.
22 MS. HAMNER:
23 Have you looked at the
24 fact that when the One Left crew
25 flipped the switch, that then

Page 1199

1 immediately the blast happened?
2 MR. UROSEK:
3 From the information that
4 we have, the blast happened --- the
5 switch had already been thrown, and a
6 gentleman had just gone back into the
7 mantrip.
8 MS. HAMNER:
9 If a charge had entered
10 the mine's telephone line, do you have
11 any theories as to how that charge
12 would have gotten underground? Do you
13 understand the question?
14 MR. HIEB:
15 Uh-huh (yes). That's
16 another question for, I think, a
17 trained electrical expert. So I can't
18 really speculate.
19 MS. HAMNER:
20 Is it possible that the
21 lightning strike made the CO monitor go
22 off by fault, since it went off line
23 soon after?
24 MR. UROSEK:
25 I think that's one of the

Page 1200

1 things that we'll be evaluating when we
2 review the records that's on the
3 computer, as well as the data.
4 MS. HAMNER:
5 Can you tell the families
6 what murdered our men? Nobody wants to
7 respond to that?
8 MR. GATES:
9 Well, I think that's
10 certainly the goal of the
11 investigation, is to determine what the
12 root cause of the event is, and that's
13 certainly what we're working towards.
14 MS. HAMNER:
15 I think that finishes our
16 questioning, unless Russell has
17 something.
18 A couple comments the
19 family members sent up. Maybe you
20 should gather the men who constructed
21 the seal at Sago to go build the seals
22 at Lake Lynn. Another comment, perhaps
23 maybe the seismograph needs to be
24 scrapped, as it is too complicated.
25 Some requests. They're

Page 1201

1 asking for the complete PowerPoint
2 presentation. Can we get that, Mr.
3 Weaver?
4 MR. WEAVER:
5 Yes, ma'am. We'll
6 provide that to you.
7 MS. HAMNER:
8 Can you provide the
9 families with copies of the maps that
10 show the bending of the belt hangers
11 and pie pans by the explosion?
12 MR. HIEB:
13 Yes.
14 MS. HAMNER:
15 And I think we covered
16 this. You will provide us with a list
17 of the grounding failures that you
18 identified in the electrical system?
19 MR. WEAVER:
20 Yes. I'll provide a copy
21 of all the noncontributory citations
22 that have been issued to date.
23 MS. HAMNER:
24 I guess that completes
25 our questioning.

Page 1202

1 CHAIR:
2 Thank you very much. I
3 have three quick questions. Was the
4 pipe --- the sample pipe, was that
5 metal or PVC?
6 MR. UROSEK:
7 It was metal.
8 CHAIR:
9 Who was the highest-
10 ranking MSHA official on site at Sago
11 during the mine rescue attempt?
12 MR. MCKINNEY:
13 I probably can answer
14 that, Davitt. Just like the state was
15 talking yesterday, it changed.
16 Initially, it was probably Jim
17 Satterfield, then Bill Ponceroff, Kevin
18 Stricklin, then myself, then Bob Friend
19 (phonetic). So as it progressed, it
20 changed.
21 CHAIR:
22 And what about the state?
23 MR. MILLS:
24 Initially, it was John
25 Collins, followed by several other

Page 1203

1 inspectors, until Mark Wilfong got on
2 the property, then I got on the
3 property, then Doug Conaway got on the
4 property, then C.A. Phillips.
5 CHAIR:
6 Could you check the
7 verification in Keith Stricklin's
8 report on the Omega block seals that
9 there is a reference that these seals
10 should be built in a complete dry area
11 and get back to me, John?
12 MR. UROSEK:
13 Yes.
14 CHAIR:
15 This is for Richard
16 Gates. In your opinion, how much force
17 were the seals subjected to? How much
18 force would it take to deflect the belt
19 hangers?
20 MR. GATES:
21 Again, that's something
22 that we're certainly looking at as a
23 result of the testing that's going on.
24 CHAIR:
25 And Monte, in your

Page 1204

1 opinion, how much force were the seals
2 subjected to? And what force would it
3 take to deflect the belt hangers?
4 MR. HIEB:
5 It's premature for me to
6 speculate on that.
7 CHAIR:
8 If we have no more
9 questions ---.
10 MS. HAMNER:
11 One more.
12 CHAIR:
13 Yes, ma'am.
14 MR. BENNETT:
15 Was there part of a seal
16 that was still standing? I mean, not
17 all of them was --- I mean, I know they
18 were destroyed, but were there any
19 remnants of a seal?
20 MR. UROSEK:
21 There were parts of some
22 of the seals still there, yes.
23 MR. BENNETT:
24 And the mortar on them,
25 were they --- could you tell how thick

Page 1205

1 it was or ---?
2 MR. UROSEK:
3 I personally didn't look
4 at them, but I know that's some of the
5 information that our team was looking
6 at.
7 MR. BENNETT:
8 And you said there was a
9 metal pipe going through the seals?
10 MR. UROSEK:
11 Yes.
12 MR. BENNETT:
13 Should it have been
14 grounded?
15 MR. UROSEK:
16 It's my understanding
17 that it was supported with the cribs in
18 the area.
19 MR. BENNETT:
20 Do you guys require --- I
21 mean, you don't require it to be
22 grounded or ---?
23 MR. UROSEK:
24 No.
25 MR. BENNETT:

Page 1206

1 Should you?
2 MR. UROSEK:
3 Well, I guess that's one
4 of the things that we'll continue to
5 look at in this investigation. If that
6 comes out to be, then yes, we will.
7 MR. BENNETT:
8 Some of the detectors the
9 Two Left crew were wearing had
10 capabilities to print off reports. Has
11 this been done?
12 MR. UROSEK:
13 As a matter of fact, yes.
14 MS. HAMNER:
15 That will be part of your
16 investigation in the report?
17 MR. UROSEK:
18 That information, yes.
19 MS. HAMNER:
20 I think we're finished,
21 Davitt.
22 CHAIR:
23 Thank you. At this time
24 I would like to give an opportunity for
25 people to make a closing statement. We

Page 1207

1 will give members of the families an
2 opportunity to make a closing
3 statement. Let me begin by reading a
4 statement of Chris Toler and Courtney
5 Browning, son and daughter of Martin
6 Toler, Jr.
7 First, I would like to
8 thank all those who have anything to do
9 with these hearings. When I was
10 growing up, I had quite a bit of
11 temper. I still do. But my father
12 taught me how to harness my anger and
13 turn it into something positive.
14 Since the burial of my
15 father, I have tried to piece together
16 my life, and my family has done the
17 same. It has been hard to do. Each
18 week in the papers or the news there is
19 something else to open up the wounds.
20 As time moves on, I allow myself to be
21 consumed with --- as time moved on, I
22 allowed myself to be consumed with
23 anger and bitterness. That ends today.
24 My father raised me better than that.
25 We captured the hearts of

Page 1208

1 millions around the world. I would
2 like to thank all those who sent cards
3 and letters after the loss of my
4 father. Watching these hearings, I
5 have seen the hurt of all in their
6 eyes, the state, ICG, MSHA and all the
7 families here today. No one had any
8 intention to do what happened. All
9 parties involved made the decisions
10 they thought were best at the time. I
11 hope and pray that this explosion and
12 recovery effort will bring MSHA, the
13 state and the company closer together
14 to work for a safer tomorrow for our
15 miners.
16 What saddens me most is
17 that our family has been labeled
18 pro-company throughout this time. We
19 are not pro-company. We are pro-coal
20 mining. My father died doing what he
21 loved to do. No one forced him to go
22 to work at Sago. He chose to.
23 I also respect and thank
24 ICG for all they have done for our
25 families. You don't read about that in

1 the papers. Particularly, I want to
 2 thank Mike Heims. Your visits and
 3 calls have meant a lot to my family.
 4 I have to move on.
 5 Nothing that is discovered, no amount
 6 of money will bring my father back.
 7 And I know that this disaster will
 8 forever change the coal mining industry
 9 for the good. I am not ignoring what
 10 went on, but I have a family who needs
 11 me. Holding onto this anger is not
 12 healthy.
 13 I remember my father as a
 14 good Christian man, a father, a friend,
 15 husband and grandfather and a good coal
 16 miner. He died in the Sago Mine, but
 17 that is not what he will be remembered
 18 for. Thank you.
 19 Now, if family members
 20 would like to come up, we can ---
 21 what's that? We can put a podium up,
 22 and then the members of the family can
 23 come up and make a statement, those who
 24 wish to.
 25 MR. BENNETT:

1 My name is Russell
 2 Bennett. I am Marty Bennett's son. I
 3 need not say that I miss my dad with
 4 all my heart. And there hasn't been a
 5 day go by since this explosion that
 6 tears have not been shed from these
 7 eyes, but I would --- there's some
 8 people I would like to thank and let
 9 them know how much I respect them for
 10 what they tried to do and for the
 11 efforts that they made.
 12 I would like to thank
 13 Dick Wilfong, Jeff Toler, Al
 14 Schoonover, Vern Hofer and Owie Jones
 15 for the rescue attempt that they made.
 16 And as far as I'm concerned, that's
 17 the only attempt that was made.
 18 However, I would like to thank the mine
 19 rescue teams for the attempts that they
 20 made. And at the time that they was
 21 allowed to do what they was trained to
 22 do, they done all they could do. And I
 23 would like to thank them for that.
 24 I would also like to
 25 thank John Collins, Dick Wilfong, Jeff

1 Toler for recommending that they start
 2 at 57 block and for the world to know
 3 that if they had, there would have been
 4 one man dead and the rest would be with
 5 us today. That's all I have. Well,
 6 also I'd like to thank the family
 7 members for standing beside their
 8 family and standing beside us and
 9 supporting us. And I would also like
 10 to thank the world for their prayers
 11 and for everything that they've done,
 12 and just to let my mom know that I love
 13 her.
 14 MS. CAMPBELL:
 15 This is one time that I
 16 don't have much to say. I didn't
 17 prepare anything and it hasn't come
 18 from here. And I speak to you on
 19 behalf of my sister, Judy Bennett
 20 today. And I want to thank America and
 21 the fine people who sent cards,
 22 letters, donated money. We appreciate
 23 that from the bottom of our heart.
 24 I wish all of you could
 25 have known Marty Bennett. He was a

1 hard worker. He loved his family, he
 2 adored his son, and he cherished his
 3 wife.
 4 Our hearts today are just
 5 as broken as it was January 2nd. Marty
 6 Bennett was a member of mine rescue for
 7 13 years. If he could have gotten
 8 those men out of that mine, I know he
 9 would have brought them out. I've told
 10 Davitt McAteer from the day I met him,
 11 and I think he'll tell you this
 12 himself, today MSHA is not working. It
 13 does not work. And in my opinion, and
 14 this is just my opinion, it failed us,
 15 as FEMA failed Hurricane Katrina
 16 victims. Technology is here. We need
 17 to use it to our advantage.
 18 We have lost 12 men, and
 19 their families grieve every day. But
 20 the family that I see grieve every day
 21 is my own. And I see my sister die
 22 just a little bit every day because she
 23 lost half of her heart. And I hoped
 24 that I could come up here and do this
 25 without crying, but I can't.

1 And I also want to thank
 2 those men who desperately tried to save
 3 their lives. You won't ever, ever know
 4 how much we appreciate that. And to
 5 the mine rescue, I know you did what
 6 you could do and what you were allowed
 7 to do. And I ask Mr. Hatfield and
 8 everyone at Sago Mine to please keep
 9 those miners safe and to do whatever it
 10 takes to ensure that no family ever
 11 goes through what we've been through.
 12 Thank you very much.

13 MS. HELMS:
 14 My name is Amber Helms,
 15 and I'm Terry Helms' daughter. And
 16 before I even start, I want to say in
 17 response to Russell Bennett saying that
 18 if they would have started at 58 block
 19 there would have only been one miner
 20 dead, that's how that one miner would
 21 have wanted it.
 22 I would like to first
 23 thank everybody who came and testified
 24 here today and came to ask questions
 25 and support to find out what happened.

1 I would like to thank Davitt for
 2 putting this together and also for
 3 putting together the symposium that
 4 happened a few weeks ago. And I would
 5 like to thank Governor Manchin for even
 6 making this an option for the families.
 7 This hearing has
 8 uncovered some interesting information.
 9 I feel that it has opened many windows
 10 but not many doors. Seeing how much
 11 time MSHA has been using to get to
 12 their conclusions thus far, it is hard
 13 for me to believe that ICG did an
 14 adequate job in coming up with their
 15 lightning theory. But that's just my
 16 opinion.
 17 Although I do not agree
 18 with some of the things that I've
 19 heard, I believe that this hearing has
 20 been an eye-opener and has reminded
 21 everyone in the world that just because
 22 this tragedy happened on January 2nd,
 23 it's not over, and it needs to be
 24 remembered.
 25 Along with finding our

1 answers that we need as families, I
 2 hope that we can learn from this so we
 3 can put more safety measures in mines
 4 across America so we can try to save
 5 miners if this ever happens again. We
 6 don't want that to ever happen. But if
 7 it does, we need to try to protect
 8 these men and make sure the outcome
 9 isn't what we have to go through.

10 My uncle --- my aunt
 11 Judy, which is Terry's sister, wanted
 12 me to say for her that even though his
 13 body is gone, he is not really gone
 14 because, honestly, when I lost my dad,
 15 I didn't feel like I lost a part of my
 16 heart. It broke, but I didn't lose it.
 17 In fact, I almost feel closer to my
 18 dad now than I did before, but only
 19 because he is with me in spirit
 20 everywhere I go. He's not just a phone
 21 call away. He's not just a short drive
 22 away. He's right beside me right now.
 23 I think it's kind of ironic that I
 24 stand here and it seems like he's
 25 looking right over my shoulder; doesn't

1 it? That's because he is. And each
 2 one of these loved ones is looking over
 3 every family's shoulder. And he's with
 4 us all the time. And so I hope that
 5 others can try to fill that gap in
 6 their heart with the thoughts of their
 7 spirit being with you every second of
 8 every moment of every hour of every day
 9 for the rest of your life.

10 Please remember my father
 11 and every single one of these men
 12 because even through death, they remain
 13 extraordinary. Once again, I just want
 14 to thank everyone for being here. And
 15 I hope that we can continue to move
 16 forward, find the correct answers and
 17 heal and save some other miners. Thank
 18 you.

19 MS. COHEN:
 20 My name is Peggy Ware
 21 Cohen. This is my mother, Brenda
 22 Newcomer. In closing, I would like to
 23 thank Davitt and Governor Manchin for
 24 making this public hearing possible. I
 25 don't feel all my questions were

1 answered, but some were. And to the
 2 investigators from MSHA and the State
 3 of West Virginia, I ask that you please
 4 continue your investigation and leave
 5 no stone unturned. I am not going to
 6 let these questions go without being
 7 answered.
 8 I have a lot of trouble
 9 with ICG's lightning theory --- or
 10 should I say hypothesis. I just ask
 11 that our unanswered questions be
 12 followed up on. I, once again, want to
 13 express my gratitude and appreciation
 14 for the mine rescue workers. God bless
 15 you all for what you do. I thank you
 16 for your attempts at rescuing my dad.
 17 Mr. Hatfield, Mr. Dunbar,
 18 Mr. Kitts, I would like you to look at
 19 all 12 of these men's pictures. These
 20 were great men. You owe us answers and
 21 the truth, and we deserve the truth.
 22 And when you go home to your families
 23 today, think about us not going home to
 24 our family members that were taken from
 25 us. I get to go home and continue to

1 look at my dad's picture. I only get
 2 to think about all the good memories
 3 we've had. I don't get to create any
 4 new memories with him.
 5 My sons now have to grow
 6 up without their pap-pa. My brother's
 7 daughters now have to grow up without
 8 their pap-pa. My brother and I have
 9 lost the most important man in our
 10 lives, our dad. So you need to look at
 11 these pictures of these good men and
 12 make sure you make the required changes
 13 to keep all the other miners safe at
 14 your mines. ICG and other mine
 15 operators need to start paying more
 16 attention to safety than corporate
 17 profits.
 18 I would ask MSHA and
 19 state inspectors to continue to
 20 investigate and find the cause of this
 21 terrible disaster. Get to the truth
 22 and the answers. Make necessary
 23 changes in the laws and regulations to
 24 keep the other miners safe. Make the
 25 fines more so it actually has an effect

1 on the operator of the mine. Most
 2 importantly, enforce these regulations.
 3 We have to get the updated technology
 4 and equipment to keep these miners
 5 safe.
 6 I feel my dad was let
 7 down by all of you. He did what he was
 8 trained to do. Legislators, we ask
 9 your help in getting these laws and
 10 regulations changed. Please keep all
 11 of us families in your thoughts and
 12 prayers and continue to keep the faces
 13 of these 12 men in your thoughts. We
 14 cannot let this go by and not make
 15 changes. We have to prevent any other
 16 families from enduring the horrible
 17 pain.
 18 Again, thanks to Davitt
 19 and Celeste for all your hard work in
 20 supporting us through this process.
 21 And once again, thanks to all the mine
 22 rescue workers. I appreciate
 23 everything you did in getting my dad
 24 out of the mine. I know you did
 25 everything you could, and thank you.

1 And thanks to everyone around the world
 2 for all your cards, prayers and gifts.
 3 We really appreciate them.
 4 MS. MERIDETH:
 5 As you all know by now,
 6 my name is Ann Meredith, and I am the
 7 daughter of Jim Bennett, one of the 12
 8 that was killed in the Sago Mine
 9 accident.
 10 First, I want to extend
 11 my utmost gratitude and appreciation to
 12 the mine rescue teams for doing
 13 everything and all you could do in the
 14 rescue of my dad and these other
 15 miners. May God bless each and every
 16 one of you.
 17 As I stated in my opening
 18 statement on Tuesday, we had --- and
 19 when I say we had, I mean my husband
 20 and I had to tell five children that
 21 their grandfather wasn't coming home
 22 again. And now today we have three
 23 here of the five children. They have
 24 the question of why. They want to know
 25 why their grandfather was taken away

Page 1221

1 from them.
2 During this hearing I was
3 able to get some information, but still
4 I don't understand the delay. I got
5 some information about what MSHA had
6 done, but haven't got the answers as to
7 why or what they have figured out. I
8 still want them to continue to
9 investigate.
10 And as for ICG, although
11 they told us on the day before they re-
12 opened the Sago Mine, where my dad and
13 these 11 other innocent, wonderful men
14 were killed, that lightning is what
15 caused the disaster, but I'm still
16 waiting on the answer to that. I don't
17 believe that lightning had anything to
18 do with it. And I ask that the state
19 and MSHA continue to look into what
20 actually really did cause the
21 explosion, where these 12 men were
22 killed. I'll never get the chance
23 again or even have the time with my
24 dad, Jim Bennett. There will always be
25 a void in my life, my mother's life and

Page 1222

1 also in the lives of all who knew him.
2 I'll always carry my dad right here in
3 my heart. But you know it's not the
4 same as having my dad alive and
5 standing beside me today.
6 I want to take this time
7 to thank Randal McCloy for giving us
8 and the families the letter that he
9 did, with some explanation as to what
10 went on down inside that mine that
11 January 2nd day. I am grateful for
12 him, and I hope that his recovery will
13 be a speedy one. And Randal, if you're
14 going to watch any of this coverage, I
15 want you to know that you and Anna and
16 your children will always be in my
17 heart and in my prayers. And to all of
18 the miners' families, I want to say I
19 love each and every one of you. I wish
20 this never had happened. But you all
21 will always be in my prayers as well.
22 And once again, I want to say thank you
23 to all of the rescue teams that was
24 there during the Sago mining accident.
25 I'll never forget what you all's done

Page 1223

1 for me and what you guys have done for
2 these families. And to Davitt and to
3 Celeste, thank you. Thank you very
4 much.
5 MS. WINANS:
6 My name is Pam Winans. I
7 am the wife of Marshall Winans. My
8 husband worked for ten years in the
9 coal mines. Marshall worked hard to
10 support me and our three daughters. He
11 loved to hunt, fish and, most
12 especially, proud of his camp, which he
13 had not --- had such short time to
14 enjoy. Anyone who knew Marshall knew
15 that if they needed help with anything,
16 he would be there. He'd be the first
17 in line to help. He was a father, a
18 son, a brother and an uncle, who most
19 of his nieces and nephews admired.
20 My family and I would
21 like to thank all the rescue personnel
22 who were there to help during this
23 tragedy, from the emergency squad, fire
24 department, police officials, and most
25 especially, to the mine rescuers who

Page 1224

1 risked their lives to save our loved
2 ones. Joe Manchin and his staff,
3 Reverend Day and the Sago Baptist
4 Church, Davitt McAteer and his staff
5 and all the other organizations who
6 helped. We hope from this meeting more
7 safety and better communication, better
8 equipment will come forth so that
9 another family will not have to endure
10 what all of us have went through.
11 My family does not blame
12 the mine rescue team for the
13 miscommunication, but rather asks MSHA,
14 ICG to investigate how the information
15 got from the command center to the
16 family members at the church. Thank
17 you.
18 MS. BAILEY:
19 My name is Sara Bailey.
20 My father is George Junior Hamner.
21 First I would like to say that we are
22 grateful that state and federal
23 officials allowed us the opportunity
24 for this public hearing and allowing us
25 to participate in the way we have, to

Page 1225

1 ask questions. We hope if there are
2 other disasters in the future, that
3 other families will get to participate
4 the way we have. I would also like to
5 thank Cecil Roberts and the UMWA for
6 being a voice for Junior Hamner.
7 Junior Hamner would be honored to know
8 that Cecil Roberts and the UMWA spoke
9 on his behalf.
10 I am here today hoping to
11 learn why Dad died. I am disappointed
12 that we didn't learn why. Six weeks
13 ago, ICG told us they had the answer,
14 lightning. Yesterday I learned that
15 reports were not written six weeks ago,
16 but were written a few days ago.
17 Although ICG stated opinions six weeks
18 ago, their experts said yesterday that
19 their opinions were preliminary and
20 subject to change, and they weren't
21 sure how lightning got into the mine.
22 The experts' reports were not
23 believable. They did not answer the
24 questions.
25 My father told my mother

Page 1226

1 and me that this mine was not well run.
2 What I have heard the last three days
3 confirms to me this is true. Number
4 one, MSHA was concerned about safety at
5 Sago, so concerned that they had a
6 meeting scheduled with Ray McKinney
7 around January 6th. And this meeting
8 did not take place because of the
9 explosion on January 2nd. Number two,
10 the seals were not properly
11 constructed, many built by
12 inexperienced miners, some who were not
13 Sago miners. Number three, there was
14 electrical equipment without lightning
15 arresters. Number four, ICG found
16 methane outside seals a week before the
17 explosion and did not continue to
18 monitor it. Number five, they used the
19 CO monitoring system to give people
20 personal messages. Number six, the CO
21 monitoring system reportedly
22 malfunctioned so that ICG didn't know
23 whether the alarm was true or false.
24 Number seven, they sent in a fire boss
25 who did not know about the methane at

Page 1227

1 the seals, and his notes of the fire
2 bossing came up missing in the laundry.
3 Number eight, ICG didn't notify MSHA
4 for two hours after the explosion,
5 despite the immediate notification
6 requirement under the Mine Act. And
7 number nine, we have been informed that
8 four self-rescuers did not work, and I
9 believe they did not work.
10 My father did not have to
11 die. I hope that the federal and state
12 government will take the steps and
13 require coal companies to operate
14 safely so that this won't happen to
15 others.
16 My father, George Junior
17 Hamner, was many things to me. Although
18 mere words alone could not do him
19 justice, I would like to speak about my
20 father for a few minutes. I admired my
21 father, for he was a man who was honest
22 and enjoyed the simplicity of life. He
23 was a strong, good-hearted person who
24 loved people, a hard worker and a good
25 provider, an intelligent, caring man.

Page 1228

1 He was everyone's rock. He was the
2 life of the party and the civility in
3 everyone's lives that were closest to
4 him. I am an only child, and I loved
5 my daddy very much. He was my hero, my
6 guidance, my advisor, my teacher, my
7 strength, and my heart. I guess I
8 envisioned him to be immortal. I
9 thought him a man not capable of death.
10 ICG's neglect and lack of
11 consideration for human life and safety
12 has robbed me of a man that was dear to
13 my heart and has taken my mother's life
14 partner from her. Their actions have
15 caused our house to be an empty space
16 that can never be filled again. And
17 because of this, I will never have
18 peace. What was taken from us cannot
19 be replaced. This disaster caused a
20 wound in my heart that time will never
21 heal. I will never know what a good
22 peaceful night's sleep is as long as
23 there is a breath in my body.
24 My father will never get
25 to see or enjoy his grandchildren, as I

1 do not yet have children. He was taken
2 away from his life in his prime, at a
3 young age on the scale of a lifetime.
4 Why was my mother widowed at age 51,
5 after 32 years of marriage? And why
6 will I have to explain to my future
7 children their grandfather is gone?
8 Why will we never lay eyes upon his
9 face again? ICG's lack of
10 consideration and its inability to be
11 honest, that's why. Thank you.

12 DELEGATE CAPUTO:

13 Being a coal miner, I
14 guess these few days has been about as
15 emotional for me as anything I've ever
16 went through in my life. And when I
17 see you fine folks, I think of my
18 family and what would have happened if
19 I was in that position. And I admire
20 you. I just got to say from the bottom
21 of my heart I certainly admire your
22 courage and your braveness and your
23 honesty. And in these last few days
24 we've talked about several things. And
25 we've talked about the explosion and

1 why it happened and the search and
2 rescue efforts and the communication or
3 the lack thereof. But quite frankly,
4 we have not gotten any answers. And I
5 agree from the bottom of my heart with
6 those families that think ICG was
7 premature in the lightning theory. And
8 I do believe that it is their intent to
9 sway public opinion. And I can only
10 hope and pray and trust that that
11 premature release does not taint the
12 process that's going to take place from
13 the state and federal regulatory
14 agencies. It is my hope that the
15 testimony provided throughout these
16 three days will provide the answers
17 that we all deserve. And I would hope
18 that the outcome of this would be safer
19 mines for every coal miner in the
20 world.

21 I want to thank Governor
22 Manchin for this unheard of format, in
23 allowing everybody to participate. And
24 I want to thank all those who
25 participated. But I would like to

1 offer a special thank you to you
2 families. I think your testimony and
3 questions, very hard questions that you
4 were not afraid to ask, are most
5 important toward this investigation.
6 And I know while you come here for
7 answers, you come here for another
8 reason. I can see it in your hearts.
9 You come here to assure that no other
10 coal mining family has to endure what
11 you've went through. And from coal
12 miners all across this country, I thank
13 you from the bottom of my heart for
14 that.

15 But I must urge you, in
16 closing, I must urge you all to stay
17 together because if anyone or anything
18 divides you families, we will never get
19 the answers that you so deserve. You
20 may have disagreements and you may have
21 differences of opinion, and you have
22 every right to do that, but do not let
23 any one thing divide you. Coal miners
24 are counting on you. May God bless
25 each and every one of you. And thank

1 you for letting me be a part of your
2 day.
3 SENATOR CARUTH:
4 As a member of the
5 committee and on behalf of the West
6 Virginia State Senate, I have just a
7 very few remarks. The first is those
8 of us who were here on the legislative
9 panel didn't really contribute a lot to
10 this process, except to help ask some
11 of the questions. What our function
12 will be maybe going forward from this
13 point, because we do intend to continue
14 to ask questions, with Mr. McAteer's
15 help and guidance, the committee you've
16 seen here today --- by the way, it was
17 formed some months ago. And we've
18 heard --- this wasn't our first
19 session, our first involvement in this
20 process. We've had quite a number of
21 meetings and expect to continue to do
22 so in the future. But the reason we're
23 going to continue to ask those
24 questions is to try to transform those
25 answers into actions.

1 I think on behalf of
 2 myself and the Senate and this
 3 committee, I can tell you that we will
 4 commit --- we have committed to keep
 5 the focus and attention on anything and
 6 everything that could possibly make a
 7 difference and prevent this type of
 8 tragedy in the future.
 9 We do take seriously that
 10 challenge that was offered to us on the
 11 first day when we first began by John
 12 Groves, I believe, to make sure it
 13 doesn't happen again. And our function
 14 will be to try to do all that we can to
 15 make sure it doesn't happen again. To
 16 those of you in the families, I know
 17 these gentlemen behind us, these
 18 pictures, we've been looking at them
 19 all day. And perhaps it was Amber that
 20 said that her father is looking over
 21 her shoulder. I can assure you from
 22 those of us who have been involved in a
 23 lot of things in the past and that are
 24 public type of things, the people who
 25 look over your shoulder here, your

1 fathers and brothers, are very proud of
 2 everyone in the family who's
 3 contributed to this process. And it's
 4 not always an easy thing to do.
 5 And my final remark,
 6 again, on behalf of the committee and
 7 the State Senate, is for the family
 8 members. God bless all of you.
 9 DELEGATE FREDERICK:
 10 I come from a coal mining
 11 family. I was born into a coal mining
 12 family. And the Lord has allowed me to
 13 stay here 75 years and two-thirds. I
 14 feel and know what you're going
 15 through. And you've conducted yourself
 16 extraordinarily well. You've asked
 17 very, very good questions. And I do
 18 believe that all of us, including West
 19 Virginia legislature, ICG, MSHA, state
 20 employees, we owe it to you all that we
 21 turn every rock over possible and find
 22 the cause of this accident.
 23 As I leave here --- I'm a
 24 graduate mining engineer. I've worked
 25 40 years. I still don't know the cause

1 of this accident. And we must find out
 2 what that is. I challenge the coal
 3 mining industry that we set a goal and
 4 we work a year --- since we're from
 5 West Virginia, that we work a whole
 6 year without a fatality. And in my
 7 book, that's possible.
 8 As I leave, I leave with
 9 sadness, deepest condolences, deepest
 10 sympathy for all of you. I pray for
 11 you. I will continue to pray that the
 12 Lord will allow you proper closure.
 13 DELEGATE HAMILTON:
 14 Well, we've had some of
 15 our questions answered, but a lot more
 16 that haven't been. But one thing I've
 17 learned in the last three days, and
 18 that's about the miners' families. I
 19 told them in a meeting last night that
 20 I was at, if you want to go see some
 21 backbone and some grit, come down here
 22 to Wesleyan. These families are
 23 sticking together. They're asking tough
 24 questions. It's a hard thing for them
 25 to do, and they're making history.

1 This is the first time we've ever ---
 2 that families have ever been able to
 3 participate in an investigation.
 4 I'd like to make a remark
 5 about some of the youth in your family,
 6 Russell Bennett, Sara Hamner Bailey,
 7 Amber Helms. You know, people make
 8 comments today in this age about the
 9 youth and the troubles they have, but
 10 I'll take these, and I'll say kids,
 11 I'll take these kids any day.
 12 Looking back on January
 13 2nd, I remember in one of the mine
 14 briefings, at the church sanctuary with
 15 the families, a question was asked.
 16 I'm not sure who at ICG was answering
 17 the questions at that time. It
 18 basically doesn't make any difference
 19 now. But the question was asked, have
 20 you heard the miners pounding on
 21 anything. The answer, no. The second
 22 question from the same miner's family
 23 was, are you listening for sounds from
 24 the miners. Question answered, yes.
 25 But in testimony the last two days we

1 know that wasn't true. They weren't
 2 listening.
 3 Junior Hamner and I were
 4 good friends through school. We were
 5 lockermates from junior high and high
 6 school, I guess because Hamilton and
 7 Hamner were always in the same
 8 homeroom. I don't think I ever saw in
 9 that man's lifetime without a smile,
 10 except one time, when he found out I
 11 was a Republican. But I'll take you
 12 back about six months. I was walking
 13 into the Buckhannon/Upshur high school
 14 football game, and who was in front of
 15 me in line was Junior and his brother-
 16 in-law, Billy. And they said, you want
 17 to sit together? And I said, well,
 18 sure. We were watching the game and
 19 halfway through that game, Junior
 20 started talking about the mine disaster
 21 in Pennsylvania. And I don't remember
 22 the whole conversation verbatim, but he
 23 made a comment about there's things
 24 those miners did on the inside that
 25 went against protocol and there's

1 things they did on the outside that
 2 went against protocol, and they're
 3 really --- well, his comment was,
 4 they're damn lucky to be alive. And he
 5 went on to tell me, and this is the
 6 first I'd ever heard because my dad was
 7 a coal miner, but it was years ago in
 8 his lifetime. He said, when you're
 9 trapped you're taught to signal.
 10 That's the code. And they're taught on
 11 the outside they're supposed to answer
 12 you. And it didn't happen. And every
 13 one of these men, they believed in that
 14 code. But somewhere the system or
 15 somebody let them down. And I hope and
 16 I pray that we find an answer to this
 17 disaster. For God's sake, I hope it
 18 doesn't take 20-some years like it did
 19 at Farmington. I thank you and I
 20 appreciate you being in our --- and we
 21 are one family. Thank you.
 22 CHAIR:
 23 I would like to ask Ben
 24 Hatfield from ICG to come up and make a
 25 closing statement.

1 MR. HATFIELD:
 2 Thank you. Ladies and
 3 gentlemen, I'm Ben Hatfield, president
 4 and CEO of International Coal Group.
 5 We agreed to come here this week to
 6 share information and answer questions
 7 to help further explain what we know
 8 and believe with respect to the Sago
 9 Mine accident.
 10 Our understanding of this
 11 forum's purpose was to determine how
 12 the accident happened and for all of us
 13 to learn valuable lessons from it that
 14 will help prevent such an accident from
 15 ever happening again. For its part,
 16 ICG has never taken the position that
 17 the investigation into the Sago Mine
 18 accident has been finished or that we
 19 have made --- or that we have all the
 20 answers. Quite to the contrary, we
 21 have tried to make it clear in all our
 22 meetings with the families, with our
 23 employees and our statements to the
 24 media that the findings we have shared
 25 are preliminary, and our testing

1 continues.
 2 However, we vowed in
 3 early January that we would keep our
 4 employees and the families of those who
 5 perished informed as to what we learned
 6 about the cause of the accident.
 7 Furthermore, we felt the moral
 8 obligation to inform our employees of
 9 what we knew and why we believed it was
 10 safe to restart the Sago Mine. Unlike
 11 the state and federal government
 12 agencies, neither the company nor its
 13 employees have the luxury of waiting a
 14 year or more for the release of formal
 15 government investigative reports. We
 16 needed to get our people back to work
 17 at their mine. ICG did exactly what
 18 they said in January that they would
 19 do.
 20 You've all heard Cecil
 21 Roberts, the president of the UMWA, and
 22 others here criticize us for announcing
 23 our initial findings in March. We make
 24 no apologies for keeping our commitment
 25 to the families and to our employees.

Page 1241

1 Mr. Roberts' complaint that our
2 announcement of initial findings is
3 unprecedented reflects on an outdated
4 attitude, an expectation that we should
5 do only what has been done before
6 without considering that perhaps new
7 precedence should be established.
8 Indeed, ICG has
9 voluntarily appeared before these
10 hearings that are themselves
11 unprecedented in recent times. We have
12 approached this task with candor and
13 cooperation. If the government
14 agencies have physical evidence or
15 other information that contradicts our
16 findings, we are anxious to receive
17 that input.
18 On a few occasions during
19 this hearing we've been somewhat
20 disappointed that the agencies have
21 taken a somewhat defensive posture with
22 respect to some important issues
23 concerning the rescue efforts. One
24 example is the discussion concerning
25 the time it took to send the rescue

Page 1242

1 teams underground and where they were
2 to start. To listen to the questions
3 and commentaries from the agencies
4 would imply that the regulatory
5 authorities were not active
6 participants or the lead participants
7 and instead they were just waiting for
8 ICG to submit a plan. All of us here
9 today know better. Those regulatory
10 agencies, those authorities, were the
11 lead participants in a three-party
12 rescue effort, as indeed they should
13 be.
14 We've also heard
15 conflicting accounts of what was said
16 around 10:30 a.m. on January 2nd, when
17 Mr. Toler and the others were debriefed
18 --- when Mr. Toler and others were
19 debriefed upon returning to the surface
20 from their immediate rescue attempts.
21 Sago Mine supervisors specifically
22 recall stating to those MSHA and state
23 inspectors that the rescue teams could
24 move quickly to break 58 and begin
25 rescue efforts. However, MSHA

Page 1243

1 testimony yesterday indicated no such
2 recommendation during that discussion.
3 Given the confusion and emotion and
4 subsequent fatigue impacting those
5 present in that meeting, we're not sure
6 that issue will ever be resolved with
7 certainty. However, we do acknowledge
8 that Sago Mine management subsequently
9 deferred to MSHA's superior experience
10 in mine explosions and agreed with the
11 plan to await the gas trending analysis
12 before putting rescue teams into the
13 mine.
14 We believe that it is now
15 more productive to focus on a
16 fundamental issue that needs to be
17 addressed. Has the current methodology
18 for executing a prompt mine rescue
19 become too slow and conservative in the
20 aftermath of painful disasters of
21 recent years, where mine rescuers
22 became victims of a secondary
23 explosion? In our view, this is
24 certainly an area that should be
25 discussed further among seasoned

Page 1244

1 experts in mine rescue.
2 Despite some
3 disagreements, I think we should also
4 recognize some areas where we agree
5 with the government agencies on what
6 happened. The explosion occurred inby
7 the seals. It initiated somewhere
8 around spad 4010. There was no human
9 activity or equipment in the area that
10 initiated the explosion. There was
11 only one explosion. The potential
12 sources of ignition are either a roof
13 fall or lightning. ICG firmly believes
14 that lightning created the ignition.
15 We can also state quite affirmatively
16 that the miners lost at Sago appeared
17 to do everything in accordance with
18 their training. They attempted escape,
19 as we see from the evidence by the
20 attempt to drive the mantrip out, the
21 footprints that were followed by the
22 rescue teams and Randal McCloy's
23 letter. They donned their self-
24 rescuers. When all else failed, they
25 barricaded and attempted to alert those

1 on the surface.
 2 We believe that the men
 3 were properly trained in the use of
 4 their SCSRs. We don't know what
 5 happened underground or what they
 6 experienced. We only know that the
 7 feedback from the NIOSH and MSHA
 8 testing was that the SCSRs appeared to
 9 be in working order.
 10 In any event, we fully
 11 agree that a longer-lasting,
 12 easy-to-wear and easy-to-use
 13 self-rescuer should be available in
 14 this modern era. Although it has not
 15 been addressed by the government
 16 officials in this hearing, we believe
 17 that the hours and days before the
 18 explosion contained no specific
 19 warnings. The existence of small
 20 levels of methane outby the seals is
 21 neither unusual nor unexpected and
 22 would signal nothing ominous to an
 23 experienced miner. Likewise,
 24 liberation of methane on a mining
 25 section from time to time is not

1 unusual. And the Second Left crew
 2 handled that liberation event on the
 3 working section a few weeks before the
 4 accident with the same training that
 5 they showed on January 2nd. They
 6 ceased operations, de-energized the
 7 equipment and plugged the leak in a
 8 customary manner.
 9 We also believe, it is
 10 clear, that the carbon monoxide alarm
 11 on the sensor near the face of First
 12 Left at 6:05 that morning was a
 13 malfunction and that the mine
 14 dispatcher addressed that issue in
 15 accordance with his training. He did
 16 not ignore it. He saw that the normal
 17 computer system tests indicated high
 18 likelihood that the system had
 19 malfunctioned --- the sensor had
 20 malfunctioned, and he informed the
 21 inbound First Left crew, the crew
 22 traveling toward the face, to stop at
 23 the immediate outby sensor and conduct
 24 the appropriate repair protocol.
 25 Despite erroneous media reports, the

1 required operator response is to
 2 evacuate only personnel that are inby
 3 the alarming sensor, not to evacuate
 4 the entire mine. On the morning of
 5 January 2nd, there were no personnel
 6 inby on the First Left section to
 7 evacuate.
 8 Finally, we also know
 9 with firm conviction, and I can say
 10 this from the heart, that everyone at
 11 the mine that day, from ICG officials,
 12 to state and federal officials, to mine
 13 rescue team members, were all working
 14 tirelessly, using all resources
 15 available, to save your family members.
 16 We deeply regret that there was not a
 17 different outcome. We hope that our
 18 appearing here and answering the
 19 questions posed to us has in some small
 20 way helped in your search for
 21 understanding. Thank you.
 22 CHAIR:
 23 Cecil Roberts, please.
 24 MR. ROBERTS:
 25 You have to forgive me. A

1 few minutes ago, speaking to Sara, it
 2 was a difficult proposition. If I
 3 might just say to the families that we
 4 love you. More important than that,
 5 God loves you. He can give you comfort
 6 when no one else can, me or anyone else
 7 that's been on this podium.
 8 Randal McCloy's letter
 9 did tell us one very important thing.
 10 We are in a position to see our loved
 11 ones again. And that's the greatest
 12 comfort anybody can give you,
 13 regardless of what happens with respect
 14 to these events of the past few days.
 15 I want to thank you for
 16 the friendship that I have developed
 17 amongst all of you. If I've been a
 18 little too aggressive for some of you,
 19 I guess I should apologize. But that's
 20 the way I've been for 59 years, and I
 21 don't expect that's going to change any
 22 time soon.
 23 Davitt, I want to thank
 24 you. We did have a conversation
 25 earlier today, Davitt and I, and I did

1 express to him --- I said, Davitt, I do
 2 appreciate how hard this is to make
 3 work. He's got so many competing
 4 interests coming here, and everyone
 5 wants something. And I think you've
 6 done a good job of trying to make this
 7 work, and I wanted to say that
 8 publicly.
 9 To our members of the
 10 legislature, I said the first day they
 11 should be commended because they moved
 12 very quickly on your behalf when these
 13 issues were brought forward. And I
 14 believe it was unanimous support in
 15 both the House and the Senate. And we
 16 shouldn't forget that the Governor
 17 brought that legislation forward to
 18 them for consideration, so he's showing
 19 great leadership. And I think he's
 20 been a great comfort to these families
 21 as I've watched these events unfold
 22 from the very beginning.
 23 In my position, I've
 24 --- someone said who looks --- who
 25 criticizes MSHA or who looks after it.

1 There's many people here to tell you
 2 that the UMWA is always raising issues
 3 with MSHA, and sometimes in a very
 4 critical manner. But I do want to say
 5 it took a great deal of courage for
 6 these people to come here from
 7 Arlington and try to answer questions,
 8 and I want to thank you for that. And
 9 probably tomorrow they're going to be
 10 frustrated with me again because I'm
 11 going to be raising other issues with
 12 them. But I do want them to leave here
 13 thinking that that's all I do. I do
 14 know that there are a lot of good men
 15 and women working for MSHA as federal
 16 inspectors and trying to keep the mines
 17 safe in this country. And sometimes I
 18 don't say that.
 19 To the state folks who
 20 have been here, I want to thank them
 21 for being here and being honest to the
 22 extent that sharing information with us
 23 that they know. And the truth is, as
 24 we leave here today, they don't know
 25 everything, and you don't know

1 everything. But I do want to make a
 2 few points, from my perspective, if I
 3 might. And some of the positions I'm
 4 going to outline for you are not new
 5 for us. Some of the positions I'm
 6 going to outline for you do pertain to
 7 Sago mining, but they also pertain to
 8 every coal mine in the United States of
 9 America.
 10 I said shortly after this
 11 disaster that these men shouldn't be
 12 dead right now, that these men should
 13 be sitting out here with us right now.
 14 They should be home with you right
 15 now. They should be giving comfort to
 16 you right now. They should be
 17 grandfathers, they should be husbands,
 18 brothers. They're your loved ones, and
 19 they ought to be with you right now.
 20 And it's a failure of the system that
 21 has given this disaster to us, and we
 22 shouldn't lose sight of that.
 23 One of the things that
 24 frustrated me a little bit, and I know
 25 I went too long yesterday, but the

1 truth is we spent a long time talking
 2 about lightning yesterday. And I've
 3 got a position on that, and you know
 4 what it is. I don't believe for a
 5 moment that lightning was the result --
 6 - or caused this disaster. I don't
 7 believe that was the ignition. And I'm
 8 not going to believe that in the
 9 morning. But understand something.
 10 Understand something. These men were
 11 alive when this explosion ended. And if
 12 you survive an explosion, you ought to
 13 be able to get out of a coal mine in
 14 the United States of America, and
 15 that's just fact.
 16 And we've fought for this
 17 before this explosion. We said this
 18 after this explosion. And we all, I
 19 believe, are united in the fact that
 20 there ought to be enough oxygen in a
 21 coal mine for survival if you're a coal
 22 miner. Give these miners the best
 23 chance possible to be alive after
 24 something like this happens. Pray to
 25 God it doesn't. But if it does, they

1 ought to be able to go and get all the
 2 oxygen that they need to live. And
 3 that's not asking our government or
 4 anybody else too much. And the
 5 second point, and I'm going to continue
 6 to fight for this, and I hope we all
 7 can continue to fight for this, we need
 8 better communications in these mines.
 9 And the truth of the matter is, at the
 10 mine in Illinois that ICG owns, they
 11 have communications that they wear.
 12 That was testified to in Congress. We
 13 need that on every coal miner in the
 14 United States of America. I don't care
 15 if the technology is not advanced far
 16 enough. Whatever distance it will take
 17 us, put it on them and give them a
 18 chance to live and talk to us when
 19 they're trapped.
 20 And the third point is,
 21 and we've known this since 1995, when
 22 Davitt was the director and he hosted
 23 an event in Beckley, West Virginia, we
 24 do not have enough mine rescue trained
 25 people in the United States of America.

1 And I don't want to leave
 2 here if --- I don't know if you've
 3 picked up on the seriousness of this
 4 question about lightning being able to
 5 hit a power line somewhere or be
 6 absorbed from a magnetic field somehow
 7 as a result of a lightning strike on
 8 the ground, the power line picking it
 9 up, carrying it for a long distance,
 10 going into a piece of equipment of some
 11 type, a transformer outside, traveling
 12 two miles underground, jumping across a
 13 space of eight feet, making its way
 14 past the seals. I'll submit this to
 15 you. It's one of two things here.
 16 Either we're going to have to close
 17 every coal mine in the United States of
 18 America every time there's a
 19 thunderstorm or this is an erroneous,
 20 ridiculous, preposterous position for
 21 anybody to be taking. And that's what
 22 I think.
 23 In closing, I want to
 24 --- all I can say to everyone here is
 25 that we want to be a partner in finding

1 And the truth is, and many of you saw
 2 these people when you came to Congress,
 3 they looked like me because they're all
 4 in their 50s. We have got to train the
 5 next generation of coal miners to
 6 understand what mine rescue is all
 7 about.
 8 For years, since those
 9 Omega blocks first started making their
 10 way into a coal mine, we have objected
 11 to their use. They were not first
 12 approved to go in a coal mine to serve
 13 as seals. You may not know that. If
 14 you listened, you probably picked that
 15 up. You could take this --- if I can
 16 take my hand and pulverize that, what
 17 do you think is going to happen when an
 18 explosion occurs? We have failed the
 19 coal miners in this country. There
 20 oughtn't be another Omega block allowed
 21 in a coal mine for this kind of use
 22 ever again. Because if it is, the same
 23 thing is going to happen. We ought to
 24 take a position, no more Omega blocks
 25 being used as seals in this country.

1 the answers here. We want to be a
 2 partner in making things better for all
 3 coal miners in the United States. And
 4 I know you share that. And as we leave
 5 here, I think I've made some friends.
 6 I hope I haven't made too many enemies.
 7 And I'll do better. God's not through
 8 with me yet. I'm not perfect, and
 9 we'll work on that. But if there's
 10 anything these families need or
 11 anything we can do, please let one of
 12 us know. Thank you, and God bless you.
 13 MR. DEAN:
 14 I just wanted to let
 15 everyone know, I mean, I first came to
 16 the West Virginia Office of Miners'
 17 Health Safety and Training on February
 18 the 14th, at the request of Governor
 19 Manchin. And I came from the West
 20 Virginia University Mining Extension
 21 Service that was a training
 22 organization and one that I believe
 23 --- you know, I've taught safety. I
 24 believed in safety. And I felt I would
 25 be a hypocrite if I did not, at this

1 point, try and bring whatever talent I
 2 could to this.
 3 Since that time, I've
 4 been working with many people from
 5 MSHA, as well as the State of West
 6 Virginia and Office of Miners' Health
 7 Safety & Training, and we have many
 8 good people. And I believe that they
 9 did their honest best. And I also
 10 believe that we have been honest,
 11 straightforward and open to various
 12 causes during the investigation of this
 13 incident, and we will continue to do
 14 so. And I'm not much of a politician
 15 or much for speech making. I didn't
 16 have prepared remarks. And like many
 17 of the families, I believe that the
 18 best remarks are spoke from the heart.
 19 In the time that I've
 20 been here, I've asked Mike Rutledge,
 21 who's our mine rescue coordinator, to
 22 work with our mine rescue team and also
 23 obtain input from any of the mine
 24 rescue team members that responded at
 25 Sago. And I believe that the state can

1 I've worked for MSHA a
 2 long time. I've been in this industry
 3 36 years, and I've been associated with
 4 mine rescue 33 years. It's been tough
 5 for me and difficult this week to
 6 listen to things said about the agency,
 7 but I'll take those, I'll learn, I'll
 8 grow, and the people I work with will
 9 do the same thing because we're
 10 committed. I think I've met with some
 11 of you individually, and I've told you
 12 very clearly I stand responsible for
 13 the things I'm responsible for. I've
 14 never tried to defer that to anybody
 15 else. That's a measure of who you are
 16 and your constitution.
 17 I will tell you this very
 18 clearly, MSHA doesn't own Sago Coal
 19 Company. MSHA doesn't contract mine
 20 rescue teams for Sago Coal Company.
 21 And MSHA is not responsible if Sago
 22 Coal Company doesn't train their people
 23 to understand what to do in an
 24 emergency. And I'm real concerned if
 25 somebody thinks that's my

1 be better prepared in future events.
 2 And we have prepared and delivered to
 3 the Governor, when he was at Wheeling
 4 at the symposium on mine safety, what
 5 we believe is at least the first step
 6 in trying to improve the state's mine
 7 rescue capability. And we look forward
 8 to working and making sure that that
 9 happens. Thank you.
 10 MR. MCKINNEY:
 11 Thank you, Davitt. As
 12 most of you know, my name is Ray
 13 McKinney. And I came down here to
 14 represent the Mine Safety and Health
 15 Administration. First and foremost, I
 16 want to tell the families that I
 17 appreciate you being here and your
 18 patience in listening to us. As
 19 difficult as this has been, I know it's
 20 more difficult for you and your loss.
 21 And again, I want to extend my
 22 condolences to you and your families.
 23 And my thoughts and prayers will be
 24 with you forever. You can depend upon
 25 that.

1 responsibility or my agency's
 2 responsibility, because it's not. And
 3 the things I'm saying right now are
 4 probably not acceptable, but I'm at the
 5 point of where you stand up and you
 6 take responsibility for things you're
 7 responsible for and you're accountable
 8 for.
 9 Ben Hatfield made it very
 10 clear that he thought we had superior
 11 intelligence in a particular area.
 12 That's exactly right. When we go into
 13 a situation like that, we go in with a
 14 cooperative attitude. We're there to
 15 do everything we possibly can. We
 16 don't step backwards. We step forward
 17 and we try to help. I would ask that
 18 everybody else does the same thing.
 19 There may be another one tomorrow. I
 20 pray and hope not, but we're going to
 21 be there just like we were at Sago.
 22 We're going to be doing everything we
 23 possibly can at Sago. And when it's
 24 over with, we'll still be responsible
 25 for what we're accountable for.

1 By and large, this agency
 2 does a lot of good. I've worked in the
 3 industry before we had the mine loss
 4 and I've worked in it 30-some years
 5 since. It's a much better industry.
 6 Can we do better? Yes, we can. Are we
 7 going to do better? Yes, we're going
 8 to do better. But it starts with
 9 standing up and being accountable for
 10 what you're accountable for and moving
 11 forward constantly.
 12 I appreciate the
 13 opportunity to be here. Davitt, I
 14 thank you for having us. And I think
 15 we have to look forward to what we can
 16 do in the future to make sure this
 17 never happens again, cooperatively.
 18 Thank you.
 19 CHAIR:
 20 Thank you, Ray. I just
 21 have a few people to acknowledge and
 22 then a very quick remark. Justin
 23 Meredith for the Lego crosses. Thank
 24 you, Justin, so much. Miranda Elkins
 25 and Aimee Adams are the court reporters

1 important the work of safety is for the
 2 companies. And I want to thank ICG for
 3 coming and appearing here. And I want
 4 to thank Cecil Roberts for coming and
 5 appearing here. We have held together
 6 this rather complicated mix because of
 7 your efforts and because of your
 8 concern for the family.
 9 These 12 fellows were, by
 10 all accounts, fine men. It is our job
 11 to see that their death is not in vain
 12 and that changes come about both in the
 13 Sago Mine and in the mines in this
 14 country and around the world that
 15 improve the chances of miners getting
 16 out and improve the chances of having
 17 safer workplaces in this country and
 18 abroad. Thank you.
 19 * * * * *
 20 HEARING CONCLUDED AT 3:03 P.M.
 21 * * * * *
 22
 23
 24
 25

1 back there in the back. West Virginia
 2 Wesleyan and sound people and the
 3 people that made this happen, I want to
 4 thank them very, very, very much. And
 5 we have a little team of people that
 6 we've worked with through this last
 7 four months. I'm going to ask them to
 8 stand up. Beth, Celeste, Debbie, Joe
 9 Pavlovich, Tom Bethel (phonetic), Dave
 10 "Dan" Stuart. Pat McGinley and Susan
 11 had to leave earlier. Jessie Wagner
 12 had to leave earlier. Earl Dodder
 13 (phonetic) had to leave earlier. And
 14 last but not least, Catherine Grace, my
 15 bride.
 16 Thank you, families.
 17 You've done something new here. We've
 18 tried a new thing. It seems to work.
 19 It helps out with the investigation.
 20 It will help, we think, improve the
 21 information that we're getting about
 22 this accident, about other accidents.
 23 It has helped pass the message on how
 24 important the work of the regulators
 25 are, both state and federal, how

1 CERTIFICATE
 2
 3 I HEREBY CERTIFY THAT THE
 4 FOREGOING PROCEEDINGS WERE REPORTED BY
 5 ME AND THEREAFTER REDUCED TO
 6 TYPEWRITING AND THAT THIS TRANSCRIPT IS
 7 A TRUE AND ACCURATE RECORDING THEREOFF.
 8
 9 SARGENT'S COURT REPORTING SERVICE, INC.
 10
 11 Miranda D. Elkins
 12 Court Reporter
 13
 14
 15
 16
 17
 18
 19
 20
 21
 22
 23
 24
 25