

0001

1 STATEMENT UNDER OATH
2 OF
3 GARY HARTSOG
4
5

6 Taken pursuant to Notice by Miranda
7 D. Elkins, a Court Reporter and
8 Notary Public in and for the State of
9 West Virginia, at the U.S. Bankruptcy
10 Court, 324 West Main Street,
11 Clarksburg, West Virginia, on
12 Tuesday, March 28, 2006, at 9:04 a.m.
13
14
15
16
17
18
19
20
21
22

23 Any reproduction of this transcript
24 is prohibited without authorization
25 by the certifying agency.

0002

1 A P P E A R A N C E S
2

3 JOHN UROSEK
4 Chief, Ventilation Division
5 Pittsburgh Safety and Health
6 Technology Center
7 MSHA
8 Cochrans Mill Road
9 Pittsburgh, PA 15236
10
11 DAVID STUART
12 1507 Stonehenge Road
13 Charleston, WV 25214
14
15 MICHAEL RUTLEDGE
16 Safety Director
17 State of West Virginia
18 Office of Miners' Health, Safety &
19 Training
20 142 Industrial Drive
21 Oak Hill, WV 25901
22
23
24
25

0003

1 A P P E A R A N C E S (cont.)
2

3 ROBERT S. WILSON, ESQUIRE
4 U.S. Department of Labor

5 Office of the Regional Solicitor
6 1100 Wilson Boulevard
7 22nd Floor West
8 Arlington, VA 22207-2247
9
10 DAVID J. HARDY, ESQUIRE
11 Spilman, Thomas & Battle
12 P.O. Box 273
13 Charleston, WV 25321
14
15
16
17
18
19
20
21
22
23
24
25

0004

1	I N D E X	
2		
3	INTRODUCTION	6 - 14
4	WITNESS: GARY HARTSOG	
5	QUESTIONS	
6	By Mr. Urosek	15 - 76
7	By Mr. Rutledge	76 - 84
8	By Mr. Urosek	84 - 88
9	By Attorney Hardy	88 - 89
10	By Mr. Urosek	89 - 92
11	By Mr. Rutledge	92 - 94
12	By Mr. Urosek	94 - 100
13	By Mr. Rutledge	100 - 101
14	By Mr. Urosek	101 - 103
15	By Mr. Rutledge	103 - 106
16	By Mr. Urosek	106 - 108
17	CONCLUDING REMARKS	108 - 111
18	CERTIFICATE	112

0005

1	EXHIBIT PAGE	
2		PAGE
3	NUMBER DESCRIPTION	IDENTIFIED
4	One Small map of	
5	Two Left section	28
6		
7		
8		
9		

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
0006

P R O C E E D I N G S

1
2 -----
3 MR. UROSEK:
4 My name is John Urosek.
5 I'm an accident investigator
6 with the Mine Safety and
7 Health Administration, an
8 agency of the United States
9 Department of Labor. With me
10 is Robert Wilson, with the
11 Solicitor's Office, Mike
12 Rutledge and Dave Stuart, with
13 the West Virginia Office of
14 Miners' Health, Safety &
15 Training. I've been assigned
16 to conduct an investigation
17 into the accident that
18 occurred at the Sago Mine on
19 January 2nd, 2006, in which 12
20 miners died and one was
21 injured. The investigation is
22 being conducted by MSHA and
23 the West Virginia Office of
24 Miners' Health, Safety &
25 Training to gather information

0007

1 to determine the cause of the
2 accident, and these interviews
3 are an important part of the
4 investigation.
5 At this time, the
6 accident investigation team
7 intends to interview a number
8 of people to discuss anything
9 that may be relevant to the
10 cause of the accident. After
11 the investigation is
12 completed, MSHA will issue a
13 written report detailing the
14 nature and causes of the

15 accident. MSHA accident
16 reports are made available to
17 the public in the hope that
18 greater awareness about the
19 causes of accidents can reduce
20 their occurrence in the
21 future. Information obtained
22 through witness interviews is
23 frequently included in these
24 reports. Your statement may
25 also be used in other

0008

1 enforcement proceedings.
2 I would like to thank
3 you in advance for your
4 appearance here. We
5 appreciate your assistance in
6 this investigation. The
7 willingness of individuals to
8 work with us is critical to
9 our goal of making the
10 nation's mines safer. We
11 understand the difficulty for
12 you in discussing the events
13 that took place, and we
14 greatly appreciate your
15 efforts to help us understand
16 what happened.
17 This interview with Mr.
18 Gary Hartsog is being
19 conducted under Section 103(a)
20 of the Federal Mine Safety &
21 Health Act of 1977 as part of
22 an investigation by the Mine
23 Safety & Health Administration
24 and the West Virginia Office
25 of Miners' Health, Safety &

0009

1 Training into the conditions,
2 events and circumstances
3 surrounding the fatalities
4 that occurred at the Sago
5 Mine, owned by International
6 Coal Group in Buckhannon, West
7 Virginia, on January 2nd,
8 2006.
9 This interview is being
10 conducted at the U.S.
11 Bankruptcy Courthouse in
12 Clarksburg, West Virginia, on
13 March the 28th, 2006.
14 Questioning will be conducted
15 by representatives of MSHA and
16 the Office of Miners' Health,
17 Safety & Training.
18 Mr. Hartsog, the
19 interview will begin by me

20 asking you a series of
21 questions. If you do not
22 understand a question, please
23 ask me to rephrase it. Feel
24 free at any time to clarify
25 any statements that you make

0010

1 in response to the questions.
2 After we have finished asking
3 questions, you will also have
4 an opportunity to make a
5 statement of and provide us
6 with any information that you
7 believe may be important. If
8 at any time after the
9 interview you recall any
10 additional information that
11 you believe may be useful in
12 the investigation, please
13 contact Richard Gates at the
14 phone number and e-mail
15 address provided to you. His
16 contact information is in the
17 letter that was provided to
18 you.

19 Your statement is
20 completely voluntary. You may
21 refuse to answer any question
22 and you may terminate or end
23 your interview at any time.
24 If you need a break for any
25 reason, please let me know.

0011

1 A court reporter will
2 record your interview and will
3 later produce a written
4 transcript of the interview.
5 Please try and respond to all
6 questions verbally since the
7 court reporter cannot record
8 nonverbal responses. Also,
9 please try and keep your voice
10 up. Copies of the written
11 transcripts will be available
12 at a later time.

13 If any part of your
14 statement is based not on your
15 own firsthand knowledge but on
16 information that you learned
17 from someone else, please let
18 us know. Please answer each
19 question as fully as you can,
20 including any information you
21 have learned from someone
22 else. We may not ask the
23 right question to learn the
24 information you have, so do

25 not feel limited by the
0012
1 precise question that we've
2 asked. If you have any
3 information about the subject
4 area of a question, please
5 provide us with that
6 information.
7 At this time, Mr.
8 Rutledge, do you have anything
9 that you would like to add on
10 behalf of the Office of
11 Miners' Health, Safety &
12 Training?
13 MR. RUTLEDGE:
14 Gary, I have a short
15 statement here, and that's
16 just that the West Virginia
17 Office of Miners' Health,
18 Safety & Training is
19 conducting this interview
20 session jointly with MSHA and
21 we are in agreement with the
22 procedures outlined by Mr.
23 Urosek for the interviews that
24 will be conducted here today.
25 However, the Director of
0013
1 Miners' Health, Safety &
2 Training reserves the right,
3 if necessary, to call or
4 subpoena witnesses or to
5 require the production of any
6 record, document, photograph
7 or other relevant materials
8 necessary to conduct this
9 investigation. We appreciate
10 you being here today, for
11 taking the time to come up
12 here. If you have any
13 questions from the State's
14 side, you can use that contact
15 information there for Brian
16 Mills. Thanks.
17 MR. UROSEK:
18 Mr. Hartsog, are you
19 aware that you may have a
20 personal representative
21 present during the taking of
22 this statement?
23 MR. HARTSOG:
24 Yes, I am.
25 MR. UROSEK:
0014
1 Do you have a
2 representative present here
3 today?

4 MR. HARTSOG:
5 Yes, I do.
6 MR. UROSEK:
7 And could you introduce
8 that person?
9 MR. HARTSOG:
10 I got with me David
11 Hardy.
12 MR. UROSEK:
13 Do you have any
14 questions regarding the manner
15 in which this interview will
16 be conducted?
17 MR. HARTSOG:
18 Not at this time.
19 MR. UROSEK:
20 Will you please swear
21 in Mr. Hartsog?
22 -----
23 GARY HARTSOG, HAVING FIRST BEEN DULY
24 SWORN, TESTIFIED AS FOLLOWS:
25 -----
0015
1 BY MR. UROSEK:
2 Q. Please state your full name,
3 and spell your last name.
4 A. Gary McKinley Hartsog,
5 H-A-R-T-S-O-G.
6 Q. And please give us your
7 address and your telephone number.
8 A. [REDACTED]
9 [REDACTED]
10 [REDACTED]
11 Q. Are you appearing here today
12 voluntarily?
13 A. Yes.
14 Q. Okay. Can I call you Gary?
15 A. Please.
16 Q. And please call me John. How
17 many years of mining experience or
18 engineering experience, Gary, do you
19 have?
20 A. I started working for Eastern
21 Coal in 1976. That will be 30 years
22 this May.
23 Q. And can you give us a brief
24 description of your history?
25 A. I started working for Eastern
0016
1 Coal while I was in college. I
2 worked as a rodman, transitman,
3 draftsman, various other positions in
4 safety, engineering up through 1991
5 with Eastern and then with Peabody.
6 I worked in northern West Virginia
7 and southern West Virginia.
8 In 1991, I resigned from

9 Eastern Coal/Peabody and started
10 working as a consultant with Alpha
11 Engineering, it was a company that I
12 started, and have been with Alpha
13 since.

14 Q. And is that your present
15 position?

16 A. Yes, sir.

17 Q. What would your present title
18 be?

19 A. President of Alpha
20 Engineering.

21 Q. And do you have any mining
22 licenses, certifications, degrees,
23 such as your P.E., or ---?

24 A. I have a B.S. degree in
25 Education. I have a B.S. degree in

0017

1 Mining Engineering. I have a
2 Master's degree in Mining Engineernig
3 and a Master's degree in Business
4 Administration. I have fire boss,
5 foreman papers in West Virginia and
6 various other certifications like
7 instructor and such.

8 Q. Are any of your certifications
9 in any other state other than West
10 Virginia?

11 A. I'm a P.E. and a P.S. in West
12 Virginia, P.E. in Illinois.

13 Q. Okay. And where is your
14 office located?

15 A. Beckley, West Virginia.

16 Q. Can you explain a little bit
17 the relationship between Alpha
18 Engineering and ICG?

19 A. Alpha Engineering became
20 involved with the Sago Mine in 2003,
21 when it was in the process of being
22 re-opened. That was for Anker
23 Energy. Anker was acquired in some
24 manner by ICG in 2005. And we
25 continued with that work for ICG as

0018

1 they took over the operation and then
2 after they had taken it over. The
3 main thrust of our work has been
4 surveying and mapping. We've done
5 some other engineering work as
6 requested along the way.

7 Q. Was that your first work with
8 ICG, was at the Sago Mine after they
9 took control of ---?

10 A. We worked with Anker and then
11 ICG at Sentinel and Sycamore Two, had
12 done some work with them at Spruce
13 for Anker and then ICG, and some

14 other incidental work along the way.
15 We had worked for ICG on some other
16 projects in other places as well.
17 Q. Is that since 2003 or was that
18 prior?
19 A. Well, ICG came into being I
20 think in 2004, 2005. So not long
21 after they came into being we've done
22 some projects for them.
23 Q. Okay. So at the Sago Mine,
24 one of the primary focuses that you
25 do is the engineering, the mapping of

0019

1 the mine for them?
2 A. Yes, sir.
3 Q. How many employees does Alpha
4 Engineering employ?
5 A. Currently 18.
6 Q. Can you tell me a little bit
7 about their backgrounds?
8 A. We have surveyors. We have
9 engineers. There's another P.E. in
10 the office. We have CAD operators.
11 We have what we call
12 engineers-in-training. And then we
13 have some clerical staff.
14 Q. On a yearly basis, on average,
15 and obviously not starting from this
16 year, but in the previous years,
17 about how much time does Alpha
18 Engineering employees spend at the
19 Sago Mine?
20 A. On average, we'll have a
21 survey crew there twice a week.
22 Q. Is that their normal
23 assignment? In other words, every
24 --- twice a week, that they just
25 automatically go to the Sago Mine, or

0020

1 is it more as an as-needed? How does
2 that work?
3 A. It's an as-needed. We
4 schedule day-to-day with mine
5 management, according to their needs
6 and according to the work that we
7 need to get done to satisfy those
8 needs.
9 Q. Can you explain that a little
10 bit for me? I mean, do you call
11 them? Do they call you? Or how does
12 that work out?
13 A. Typically speaking, we get a
14 fax each morning that shows us where
15 the faces are. And we use those
16 faxes to track their advance and to
17 schedule our work so that we can set
18 spads for them as they need them. We

19 try to anticipate their needs, and
20 then we try to schedule other work
21 that needs to be done, for example,
22 check surveys, elevations, so that we
23 can make the most efficient use of
24 our time there while we're there.
25 Q. Just to get into that a little

0021

1 bit further, for example, can you
2 explain a little bit how far --- what
3 criteria do you use to advance the
4 survey? I mean, is it so many feet
5 of advance that you would bring your
6 crew in or ---?

7 A. Typically we like to set
8 spads, that is face spads, every two
9 to three breaks. And that height at
10 that mine that's probably a good
11 distance. If they have a problem,
12 such as a swag or some reason they
13 can't see the spads or maybe the
14 spads have fallen out, then we, of
15 course, have to get there more
16 quickly. But typically, every two to
17 three breaks we try to put in face
18 spads.

19 Q. As far as the elevations ---
20 you mentioned the elevations. What's
21 your typical methods or how often do
22 you do the elevation?

23 A. We like to take care of some
24 of the elevations each time when
25 we're there. In other words, we may

0022

1 do three or four breaks of elevations
2 while we're on the section doing
3 work. If the elevations get back a
4 little bit, let's say for some reason
5 we're not able to do them with our
6 regular spad work, say the spad work
7 takes longer or something as we're
8 going, then we'll make a special
9 trip, if we need to, to catch up the
10 elevations and keep them reasonably
11 close to the section face.

12 Q. Do you do an elevation for
13 every spad or is it in a particular
14 entry, or how do you do that?

15 A. We don't do it on every spad.
16 Typically speaking, we run elevations
17 in the two outside headings and try
18 to tie across on some frequency to
19 check from one side to the other.

20 Q. Would that be every,
21 approximately, thousand feet, or what
22 would that frequency --- is there a
23 general number?

24 A. There isn't a general number.
25 Sometimes it may be the entire panel.

0023

1 It's just a check that we do as we
2 watch the advance and we want to make
3 certain where we are with our
4 elevations.

5 Q. Is there a particular entry
6 that you may pay closer attention to,
7 for instance, the belt entry?

8 A. No, sir. Typically, we run
9 the elevations in the two outside
10 headings. Occasionally, we'll run an
11 elevation in the belt heading or the
12 track heading, depending on how wide
13 the section is or some specific need
14 that we have to do that.

15 Q. And your folks that do that,
16 can you describe a typical day with
17 them? In other words, a typical day,
18 when they would arrive at the mine,
19 would they go in with a crew, or how
20 does that work at Sago?

21 A. Typically speaking, they would
22 ride in with the production crew and
23 coordinate with the section foreman
24 where he's going to be working, where
25 they have their production plan, and

0024

1 work around those so that they don't
2 get in the way of the equipment. And
3 they have entries for their own use
4 for short periods of time to do their
5 work so that they're out of the way.
6 Once they get the spads put into the
7 face, then they'll look at their time
8 and decide if they can pick up some
9 elevations. They'll get coal
10 sections, any other information that
11 we want them to get on that
12 particular trip.

13 Q. A typical day, and I know that
14 --- but a typical day, how long would
15 it take them to actually do the
16 survey, the surveying part of the
17 work?

18 A. At Sago, a good day would be
19 four to five hours.

20 Q. Is there a --- I know it's
21 difficult to schedule the folks
22 sometime. Is it typically that
23 they're --- and again, I know you
24 adjust it accordingly, but would it
25 be like Monday and Wednesday were

0025

1 normally at Sago, unless something
2 different happens, or is there a

3 typical schedule for those folks?
4 A. We typically like to do
5 Tuesday and Friday because they have
6 weekend production. So we like to
7 have spads in the face on Friday.
8 But what we do in reality is based on
9 where the faces are and how fast
10 they're advancing.

11 Q. Sure. Prior to the accident
12 or prior to January 2nd, when was the
13 last day that you or your staff were
14 actually in the mine?

15 A. I believe they were there on
16 Thursday before, which would have
17 been the 28th, I believe,
18 thereabouts.

19 Q. And do you know what they did
20 that day?

21 A. They ran a check survey.

22 Q. A check survey. Can you
23 describe that a little bit for me?

24 A. Every so often, we will run a
25 check survey, which is an independent

0026
1 survey loop that is independent of
2 the daily work that I've been talking
3 about, so that we can check where the
4 mine is, run a higher accuracy
5 closed-loop so that we can do any
6 adjusting that we need to do to the
7 daily work before going on ahead.

8 Q. Can you describe that a little
9 bit for me, I mean, your normal
10 accuracy versus this higher accuracy?

11 A. Typically, when we put spads
12 in the face, those are like
13 construction points, like putting a
14 hub on a road job to do a cut or a
15 grade by. They're the grade --- or
16 excuse me, they're the sites that
17 they're using to advance the mining,
18 to keep the mining straight and in
19 the proper direction.

20 The check survey is a loop
21 where we want to be, depending on the
22 situation, anywhere from a foot and
23 10,000 up in accuracy, realizing that
24 our daily work isn't looped back. So
25 you don't really know what its

0027
1 accuracy is other than when you're
2 measuring between entries, your
3 measurements hit the lines from
4 what's been done before and they
5 match up with each other. The loops
6 are more to make certain that we're
7 headed in the right direction and

8 that we've got the proper azimuth.
9 Q. The prior --- that was a check
10 survey on Thursday.
11 A. Yes, sir.
12 Q. When would have been the last
13 time they would have been in and done
14 the normal, the routine survey, do
15 you remember that?
16 A. I don't recall.
17 Q. The results of that survey ---
18 first of all, was it conducted in the
19 Two Left section?
20 A. It was.
21 Q. How did it work out with your
22 normal survey? Was it pretty much on
23 line with what you had?
24 A. As I recall, it was very
25 close. It was reasonably close to

0028

1 what we were expecting it to be.
2 Q. If we could step over to the
3 other table, we have a map there.
4 And I'm going to ask you to take a
5 look at that. What we have here is a
6 small map of the Two Left section.
7 And I think we'll call this Exhibit
8 One.
9 (Hartsog Exhibit One
10 marked for
11 identification.)
12 BY MR. UROSEK:
13 Q. And anyways, Gary, if you can,
14 can you tell us approximately on the
15 --- or actually mark on this map, if
16 you would, where the survey check
17 that they conducted on Thursday, what
18 areas they would have surveyed to.
19 A. They would have run a line up
20 into the area around the section
21 loading point. The exact location, I
22 don't know right now.
23 Q. Okay. If you can just give us
24 approximately.
25 A. Somewhere in this general

0029

1 area.
2 Q. And what you've circled here
3 is the area between 22 and 24
4 crosscut in entries Three to Seven?
5 A. Yes, sir.
6 Q. Okay. So this is the area
7 where the check survey ---. And what
8 spads --- what is the furthest spads
9 that would have been set prior to
10 January 2nd, if you know?
11 A. This appears to be a map of
12 the area just prior to January 2nd.

13 If that is the case, then looking at
14 this map, the spads 20 --- excuse me,
15 4278 ---.
16 Q. Could you circle those for us?
17 A. In green?
18 Q. In green.
19 WITNESS COMPLIES
20 A. 4277, 4276, 4275, 4282, 4283
21 appear to be the most inby spads.
22 BY MR. UROSEK:
23 Q. And what day would those spads
24 --- those would have been set?
25 A. I don't recall the exact date.

0030

1 Probably earlier that week would be a
2 guess.
3 Q. And the spads within the
4 circle that was part of the check
5 survey would have been outby that
6 approximately one to two crosscuts?
7 A. Yes, sir.
8 Q. So just so that I understand
9 the surveying method, the spads
10 located, for example, 4269, 4270,
11 4271, 4279 and 4280, are kind of in
12 the zone that we talked about where
13 the check survey was; is that
14 correct?
15 A. Yes, sir.
16 Q. Would the accuracy be better
17 in those --- at those spad locations
18 than they would be at the spads
19 located up near the face area?
20 A. After the check survey was
21 run, that should be comparable.
22 Q. Okay. Make sure I understand
23 that. But the check survey was done
24 --- were these --- the survey, the
25 spads up near the face, the ones that

0031

1 you've circled in green, would they
2 have been part of that check survey?
3 A. I don't know without referring
4 to the field book at the time.
5 Q. Okay.
6 A. I am estimating here because I
7 don't recall exactly where those went
8 to.
9 Q. Okay. That's all I have on
10 this exhibit for right now. Thank
11 you.
12 Can you describe a little bit,
13 Gary, how the process actually works
14 with the mapping and drawing of the
15 maps and how you get back to the Sago
16 Mine?
17 A. The cycle would be we send a

18 survey crew to the mine. They would,
19 for example, set up on the most
20 advanced spad, take a back site from
21 the previous spad and align using a
22 transit to give a distance to set the
23 next spad. Measure that distance
24 very accurately, then the transitman,
25 along with the other surveyor, would

0032

1 take what we call side notes, which
2 are measuring left and right, walking
3 up the entry to get the location of
4 the coal rib, the corners of the
5 crosscuts and any other features that
6 they see that they want to make note
7 of. That information is brought back
8 to the office. We have a CAD person
9 who enters that information into
10 AutoCAD, plots that on a map in
11 AutoCAD, connects the dots that are
12 plotted, and then produces a map that
13 has the updated spads on it. Then
14 those --- in the case of Sago, those
15 updated maps are sent to the mine
16 weekly, usually on Friday afternoon,
17 to give them the most up-to-date map
18 to start their week the next week.

19 Q. Would they send that to them
20 electronically?

21 A. Yes.

22 Q. I don't believe I've asked you
23 this. Can you describe what type of
24 equipment that you use in the
25 surveying?

0033

1 A. Typically, we use what's
2 called a total station, which is an
3 electronic transit. Measures
4 generally --- depending on the
5 instrument, it may measure to five
6 seconds arc. It may measure to 20
7 seconds, depending on the instrument.
8 And then it has an electronic
9 distance meter built into it that
10 uses an infrared beam to bounce off
11 of a mirror and measure the distance
12 from the transit to the spad. The
13 instrument also has a vertical circle
14 in it that measures the horizontal
15 angle and the vertical angle to give
16 us the position in three dimensions.
17 And it does --- or it can do the trig
18 internally to give you the readout of
19 what the horizontal and vertical are
20 straight off the instrument.

21 Q. Is there a particular model,
22 number of instrument, that you used

23 at Sago?

24 A. We use any of a number of

25 instruments at Sago. Usually it's

0034

1 the --- what we call the DT-10. We

2 use Topcon, we use Sokkia

3 manufacturers. There are different

4 instruments that we use for different

5 things.

6 Q. Getting specifically back to

7 the incident on January 2nd and the

8 week prior to that, when would have

9 been the last time that you would

10 have completed the procedure that

11 you've just mentioned and sent the

12 information back to the mine

13 operator?

14 A. Without checking the record

15 exactly, I think it was that week

16 before that Friday. That being a

17 holiday week, they may have varied

18 from that a little bit. But the mine

19 had worked three days that week, I

20 believe, and there should have been a

21 section map sent out electronically.

22 If there wasn't that Friday before,

23 it would have been the Friday before

24 that. But with the holidays, I

25 couldn't tell you exactly without

0035

1 going back to look.

2 Q. Okay. And who would be the

3 person --- do you e-mail that to a

4 certain person or do you drop it onto

5 a hard drive somehow? Who's the

6 person that you deal with that at the

7 mine, with that?

8 A. That particular map we e-mail

9 to Joe Myers, the engineer. We

10 e-mail it to the superintendent, Jeff

11 Toler. And there may be a couple

12 other names on the distribution. But

13 it's a fairly widely-distributed map

14 that everyone takes a look at to see

15 where they are.

16 Q. And if they have questions ---

17 is there like a normal contact person

18 that you work with on this?

19 A. Typically, Joe Myers. But we

20 have conversations with different

21 people at the mine as we need to.

22 Q. And do you know what Joe

23 Myers' title is?

24 A. Chief engineer.

25 Q. Chief engineer. And I know

0036

1 you've gone over this, but just to

2 get the wording in correctly, the
3 surveying method, is it called a
4 closed-loop method or what would you
5 actually call the method that you
6 use?
7 A. The check survey is the closed
8 loop. The spads that we put in daily
9 are push-up spads, one of the ways
10 that they're described. And they're
11 pushed straight up.
12 Q. And you've described it, I
13 believe, already for us, ---?
14 A. Yes, sir.
15 Q. Okay. Switching gears just a
16 little bit on you, Gary, have you
17 ever conducted, prior to January 2nd,
18 a ventilation survey at the Sago Mine
19 or conducted any ventilation work for
20 them?
21 A. No, sir.
22 Q. How about as far as --- and
23 again, I'm going to switch gears on
24 you back to kind of the surveying.
25 As far as gas wells or boreholes at

0037

1 the mine, is that something that you
2 would have surveyed for them as part
3 of your work?
4 A. Yes, sir.
5 Q. And have you surveyed gas
6 wells and boreholes at the mine?
7 A. Yes.
8 Q. Have you ever been called in
9 by them to survey any gas well or
10 borehole that may not have been
11 originally plotted or that they knew
12 about, they may have hit
13 accidentally?
14 A. I know of none that have been
15 hit accidentally. As far as I know,
16 all the gas wells that we have
17 located have been in advance of
18 mining.
19 Q. In the area where the seals
20 were located, do you know of any gas
21 wells in that area that they may have
22 encountered that's not on their mine
23 map that we've seen?
24 A. No, sir.
25 Q. Focusing now on the ---

0038

1 actually, on the January 2nd day,
2 were you or any of your employees
3 scheduled to work that day?
4 A. No, sir.
5 Q. And of course, the accident
6 did occur. And were you contacted

7 when the accident happened?
8 A. When the accident happened, I
9 was in Atlanta. And I got a cell
10 phone call from one of our employees,
11 telling me that he had heard from
12 some other individual that there had
13 been something at Sago and asking me
14 if I had heard anything.
15 Q. I guess at this time what I'd
16 like to do is just start on the
17 morning of the 2nd and, to the best
18 that you can for us, describe the
19 contact between or how your company
20 found out about this and who from the
21 company contacted you and what all
22 activities occurred between yourself
23 and Sago and between your staff and
24 Sago.
25 A. I got a cell phone call in

0039

1 Atlanta about 10:30, quarter 'til
2 11:00 that morning. The upshot of it
3 was there had been an incident at
4 Sago, had I heard anything. Of
5 course, I said no. And I told this
6 fellow to stand by. And I called Joe
7 Myers' cell phone, didn't get an
8 answer. I got voice mail. So I
9 called Chuck Dunbar's cell phone, who
10 is Joe's immediate superior. Chuck
11 told me that something had happened,
12 I don't recall exactly how he
13 described it at that moment, and they
14 needed maps. So I called Dave
15 Prelaz, the other engineer in our
16 office, found that he was already on
17 his way to the office because he had
18 heard about the incident on CNN. So
19 I talked with him while he was
20 driving to the office, and we began
21 coordinating getting the maps and
22 different things that they needed
23 ready for them. Now, recall that I
24 said that we had run a check survey
25 just the week before into Second

0040

1 Left. My instructions were get that
2 calculated and checked, and make any
3 adjustments that you need to before
4 we release anything, because we want
5 to make sure that it's as accurate as
6 we can give them.
7 Q. And that was done that
8 morning?
9 A. That was done immediately that
10 morning by David. And he was calling
11 other people into the office as he

12 came along.
13 Q. Do you know what time he
14 approximately got to the office?
15 A. Somewhere around 11:00.
16 Somewhere in that general vicinity.
17 David proceeded to get the
18 information together to check the
19 maps and began plotting maps. You
20 may recall that the weather was
21 getting bad at that time. And I
22 didn't want to turn one of our guys
23 loose in a hurry to try to run maps
24 there, so I called the State Police
25 to ask them to act as couriers,

0041

1 knowing that they could get their
2 safely and more quickly than we
3 could. And they were very amenable
4 to helping us. In fact, they sent a
5 trooper to the office. By that time,
6 Joe Myers had been found, and we
7 began exchanging maps by internet,
8 across what's called the FTP or the
9 file transfer site that we have set
10 up with their group. And Joe began
11 producing maps on site.
12 About one o'clock, give or
13 take, Joe told us that he needed a
14 survey crew. And as I said, we
15 already had people moving in
16 different directions, coming toward
17 us. I sent the fellow that I had in
18 Sutton, who's one of our employees,
19 who happened to have a mapping grade
20 GPS with him. I sent him immediately
21 to the site with the idea in mind
22 that they could start building road
23 and building site based on the
24 mapping grade GPS while we got the
25 exact spot ready for them to drill.

0042

1 Q. Interrupt you for one second,
2 Gary. As you're going through this,
3 you're doing a great job, any time
4 you can interject a time, an
5 approximate time that somebody was
6 called, I'd appreciate it if you
7 could put that in for us.
8 A. Okay. Matt got to the site
9 somewhere in the neighborhood of two
10 o'clock. Somewhere in that vicinity,
11 and I'm not certain when right now,
12 Joe called and gave us a coordinate
13 that he wanted to hit in the mine,
14 which was at the tailpiece of the
15 Second Left belt. We talked about it
16 a little bit. We did our checking to

17 make sure of exactly where it was and
18 that we were all aiming for the same
19 point. They gave the coordinates to
20 the fellow on site with the mapping
21 grade GPS, and he went out to locate
22 it on site.

23 There was some problem with
24 the mapping grade because of
25 satellite reception. In mapping

0043

1 grade, as in survey grade GPS, you
2 are required by the software to have
3 a certain number of satellites in
4 communication in order to get the
5 work done. There's an internal ratio
6 in the instrument that's displayed
7 called a PDOP. That PDOP has to do
8 with the reception strength of the
9 signal, the number of satellites and
10 the like. The thing that you need to
11 know about the PDOP is that the
12 higher the PDOP, the less reliable
13 the results. Therefore, we like to
14 have a PDOP that's in the five, six,
15 seven range. At that time, they were
16 getting a PDOP somewhere in the 16 to
17 18 range, which was not encouraging.
18 But using that --- and understand
19 that this is the kind of thing that
20 happens. You don't --- it doesn't
21 indicate that there's anything wrong
22 with the equipment. It has to do
23 with satellite strength. It has to
24 do with weather. It has to do with
25 foliage, with trees, with structures.

0044

1 Any number of things can affect this.
2 Q. So you weren't surprised that
3 this PDOP was high that day?

4 A. No, I wasn't surprised. I was
5 disappointed, but I wasn't surprised.
6 Those things happen. So what we did
7 was using the mapping that had the
8 planametrics surface features on it,
9 plus the mapping grade information
10 that we could glean, and using a
11 little bit of judgment, built the
12 road, got the site started somewhere
13 in that afternoon. And that time I
14 don't know.

15 When we had the information
16 gathered together for the
17 conventional survey crew, they left
18 to go to the site. I contacted our
19 GPS folks, and they gathered their
20 equipment together and went to the
21 site. And somewhere in the

22 neighborhood of four to five o'clock
23 they started trying to set iron pins
24 and get ready to do the GPS work.
25 The GPS work actually started

0045

1 somewhere in the neighborhood of
2 seven, eight o'clock. And I'm
3 calling from memory now, somewhere in
4 the neighborhood of seven, eight
5 o'clock. And we were trying to use
6 what's called real-time GPS, which
7 involves radio communication between
8 units. We were unable to establish
9 the radio communication to a
10 satisfactory level, so we went to our
11 fallback position, which was to use
12 observations of GPS receiver units on
13 particular points. So we were using
14 one of the permanent points at Sago
15 and one of the permanent points at
16 Spruce, which was a neighboring mine
17 that we were familiar with, to give
18 us the baseline that we wanted to do
19 the GPS work in the neighborhood of
20 the boreholes.

21 Once those observations are
22 made, it has to be downloaded and
23 what's called post-processed. In
24 other words, it has to be calculated
25 using some high statistics to give us

0046

1 a coordinate for those two points.
2 That process was done in the field,
3 on laptop computer, and was ready
4 somewhere in the neighborhood of
5 11:00 p.m.

6 Once that was completed, the
7 conventional people took those two
8 points and spotted the hole
9 conventionally. They found that they
10 had to do a little more work on the
11 site and they --- our fellows stood
12 by until they got their work
13 completed, re-spotted the hole,
14 helped them set up the rig, helped
15 them plum the rig and got them
16 drilling. So that, in essence, is
17 the scenario for how we got there.

18 Q. Okay. I'm going to ask you a
19 series of questions and try to recap
20 some of the areas that you just went
21 into with that. What time did ---
22 did you come back to the office, your
23 office, at some point during this day
24 or did you coordinate over the phone?
25 Can you explain that a little bit for

0047

1 us?
2 A. As soon as I heard what was
3 going on and switched on CNN and
4 looked at the internet, I began
5 packing. I got a reservation to come
6 back, fly back into Yeager and come.
7 I called Chuck Dunbar and I said,
8 Chuck, I'm on my way back. I should
9 be there, give him an ETA. He said,
10 no. He said, we need you to stay
11 where you are. Don't be out of
12 communication.
13 Q. In Atlanta?
14 A. In Atlanta. Coordinate from
15 there. It's more important that we
16 do that rather than have you out of
17 communication for two or three hours.
18 So I stayed in Atlanta and stayed by
19 the cell phone and the internet and
20 the television until --- well, just
21 about all night.
22 Q. So you never did come to the
23 mine or come back to your office, you
24 coordinated from your hotel in
25 Atlanta?

0048

1 A. Yes.
2 Q. And explain to me a little bit
3 how you would have done that. In
4 other words, who was your lead person
5 at your office?
6 A. Dave Prelaz.
7 Q. So you would have been calling
8 him?
9 A. I was talking with Dave Prelaz
10 at our office, with our survey crew
11 in the field, with Joe Myers, once he
12 was in his office.
13 Q. You mentioned that Joe Myers
14 had called you about a particular
15 coordinate ---
16 A. Yes.
17 Q. --- that he was interested in?
18 Did you have any decisions? Did you
19 talk to him about why that particular
20 coordinate was selected?
21 A. I asked him why there. He
22 said that's where Sam Kitts told him
23 to put it. And that was good enough
24 for me. I didn't have anything
25 better to offer. I was out of the

0049

1 loop. I wasn't on site. So that's
2 where we went.
3 Q. That particular point, was it
4 --- was there any different accuracy
5 if they had picked anything closer to

6 the face versus where that particular
7 was --- that particular point, I
8 understand, is how far back from the
9 furthest point of advance of the
10 face, approximately?

11 A. That point, without referring
12 to a map, that was two or three
13 breaks from the faces.

14 Q. There were some spads in those
15 breaks ---?

16 A. There were spads inby there.
17 What you like to do is aim for a
18 check survey station.

19 Q. Yes.

20 A. You can't always do that.
21 What we did here was use our side
22 notes and our other surveying
23 information to aim for the
24 intersection where they wanted to hit
25 and went through a procedure to check

0050

1 that and make sure that we were okay,
2 and then that's what we aimed for.

3 Q. I guess what I'm trying to get
4 to, Gary, is there any more accuracy
5 at that particular spad than one of
6 the spads that are further inby?

7 A. I would have to go back and
8 review the exact locations before I
9 could say that.

10 Q. Was it a discussion that
11 anyone had? Did you have that type
12 of discussion, I mean, this is the
13 most accurate --- or the best
14 accuracy we can get is if we pick
15 this particular spad? I mean, did
16 you have those discussions at that
17 time?

18 A. We talked about it a little
19 bit. I don't recall the exact
20 conversation. I recall we pointed
21 out where particular spads were. The
22 bottom line was we felt confident
23 that we could hit the intersection
24 where we wanted to hit it. There
25 wasn't a lot of reason to go

0051

1 elsewhere that I knew of. So we felt
2 like we could hit the target.

3 Q. Do you know why he picked ---
4 I mean, other than you said Sam Kitts
5 told him that, I mean, was there any
6 philosophy as to why that particular
7 spot? Was there any discussion as to
8 that?

9 A. Not at that time.

10 Q. Did he indicate to you or

11 maybe Dave that he had --- did he
12 have a GPS system or GPS survey
13 equipment on site, Joe Myers?
14 A. I believe Joe Myers did have a
15 unit. It was what we refer to as a
16 Wal-Mart unit. It's the kind people
17 use for hunting and fishing and
18 hiking. It's not capable of the
19 accuracy that the units that we
20 typically use are.
21 Q. Did he indicate to you that he
22 was having any difficulty with that
23 unit?
24 A. Yes. He was having the same
25 difficulty with that unit as I

0052

1 understand that we had with the
2 mapping grade unit.
3 Q. The mapping grade unit, where
4 was it located physically on January
5 2nd?
6 A. It was in Sutton.
7 Q. It was in Sutton. Why was it
8 in Sutton?
9 A. One of our employees lives in
10 Sutton. He had used it the Friday
11 before to do some work in the field.
12 And I told him to take it home, put
13 it on charge for the weekend.
14 Q. And the survey grade, that's
15 the best grade?
16 A. Yes.
17 Q. And where was that unit
18 located?
19 A. That's a series of units. It
20 takes three units to do what we were
21 doing. Those units were located in
22 Danville at that time.
23 Q. So you had to have them
24 brought to your office, or did you
25 take those right to the mine from

0053

1 Danville?
2 A. They were taken directly to
3 the mine.
4 Q. You mentioned conventional
5 surveying. And I just want to make
6 sure that I understand that there was
7 conventional surveying being
8 conducted. Is that the same as the
9 GPS with the survey grade or is that
10 something different?
11 A. Conventional surveying, as I'm
12 using the term, is where one sets an
13 instrument such as a transit or a
14 total station over a point, gets a
15 reference by back-sighting another

16 point to give angle, and then
17 measures an angle to another point on
18 the ground, and then measures the
19 distance and calculates --- then we
20 can calculate a coordinate to the new
21 point. That's what you typically see
22 out here with a transit and a chain
23 and those kinds of things.
24 The GPS is where one uses the
25 --- a receiver to receive signals

0054

1 from a set of Department of Defense
2 satellites that are in geosynchronous
3 orbit. And by calculating the
4 differences in time that it takes to
5 get certain signals from those
6 satellites, it's able to calculate
7 where it is on the face of the earth.
8 That's GPS.

9 Q. And I guess it's the
10 terminology, just to make sure that
11 we have it clear, when you say
12 conventional, you used the GPS system
13 between the points of the Sago Mine
14 and another mine to locate the
15 borehole. You physically didn't run
16 a transit with a tape between these
17 points?

18 A. That is correct.

19 Q. So I guess when I think of
20 conventional survey, that's what I'm
21 thinking when you mentioned that,
22 that there's a transit at these
23 points and that the tape you actually
24 measured to the borehole. You didn't
25 do that; is that correct?

0055

1 A. Are you asking from the
2 permanent points at the mine?

3 Q. Yes.

4 A. We did not. What we did was
5 transfer the coordinates for two
6 points, using GPS, from the mine
7 points out into the field where the
8 borehole was going. Once we had
9 those two points in the field, then
10 we could set up on them, using
11 conventional work, and actually spot
12 the hole.

13 Q. Okay. The mapping grade
14 wasn't adequate to do that because of
15 the signal strength; is that correct?

16 A. Let me answer this way. We
17 have talked here about three
18 different grades of GPS work. Let's
19 talk about it in terms of what we
20 call the Wal-Mart unit, which is what

21 Joe Myers had. That generally will
22 tell you where you are within 40 or
23 50 meters on the earth's surface.
24 We talk about the mapping
25 grade unit, which is the unit that
0056
1 was located in Sutton when this
2 happened, and we got to the site
3 first. That one will get you
4 generally within a meter to a meter
5 and a half of your location on the
6 earth's surface.
7 Then we talk about survey
8 grade GPS, which will give you
9 sub-centimeter accuracy on the face
10 of the earth, sub-centimeter being
11 pretty close. So we were using, in
12 effect, all three of those grades to
13 accomplish what we needed to do.
14 Q. The survey grade, when was the
15 decision made to bring it into the
16 picture, to use it that day?
17 A. When Joe told me that we were
18 going to send survey crews, as I
19 recall, I made the assumption that
20 there was going to be a borehole
21 somewhere and I called for the survey
22 grade equipment at that time.
23 Q. And approximately what time
24 would that have been?
25 A. Somewhere around one o'clock.
0057
1 Q. Somewhere around one o'clock.
2 Did you call for the mapping grade at
3 about the same time?
4 A. Yes.
5 Q. And why the time difference in
6 getting it to the mine? The one got
7 there before the other.
8 A. The mapping grade --- with the
9 mapping grade unit, we had a fellow
10 standing by the telephone ready to
11 move in Sutton, which is only about
12 an hour from the mine. With the
13 survey grade, we had people who were
14 on holiday that we had to find and
15 equipment that we had to mobilize and
16 bring in, check and make sure
17 batteries were charged and things of
18 that nature, gather the information
19 and get it moving. So the mapping
20 grade was basically ready to go. The
21 survey grade, being a holiday, it
22 took a little time to gather the
23 people and the equipment and move it.
24 Q. Was that the fastest way to
25 locate the actual site that they

0058

1 wanted to put the borehole in? In
2 other words, could you have done it
3 conventionally, the old-fashioned
4 way? And how long would that have
5 taken if you would have tried to do
6 that?

7 A. Had we tried to do it
8 conventionally, it would have taken
9 probably many hours. We could have
10 put multiple crews on it. We could
11 have worked through the night with
12 it. But it would have been many
13 hours before we could have had that
14 there conventionally.

15 Q. I mean, would it have been
16 longer than it would have took ---

17 A. Yes.

18 Q. --- to do it this way?

19 A. Yes.

20 Q. If --- and I'll just ask your
21 opinion in this area. If you were to
22 try to locate the borehole with the
23 Wal-Mart grade unit, what do you
24 think the chances would have been of
25 actually hitting the point that you

0059

1 were trying to hit at the mine, given
2 the signal strength that was
3 available that day?

4 A. Not very good. Rather poor.

5 Q. The mapping grade, with the
6 signal strength that you described,
7 if you were to try and locate that
8 borehole, just using that particular
9 system? And in fact, I think you had
10 a point located with that system, if
11 I'm correct.

12 A. There are different procedures
13 that you can use with that equipment.
14 One of them is a procedure called
15 post-processing, where you can take
16 the signal that's recorded in the
17 unit and then, comparing it to a base
18 station signal somewhere else, get a
19 more accurate location. Had we used
20 post-processing and had we used
21 multiple points and averaging, we
22 could have probably been within a
23 meter, maybe less, of the point that
24 we wanted to hit. So figure a circle
25 that's about seven feet in diameter,

0060

1 we would have been somewhere in that.
2 I wouldn't want to try to hit a mine
3 intersection with that if I could
4 avoid it. I would probably do that

5 as a last resort if I had to. But
6 there's a lot of error built into
7 that system for the work that we're
8 intending to do.
9 Q. The signal strength --- even
10 with the signal strength you had that
11 day, would you still have been able
12 to get within that circle?
13 A. I don't know. Understand that
14 signal strength changes, that it is a
15 dynamic situation and it's constantly
16 changing because the earth is moving
17 around with the satellites changing
18 their constellation at all times.
19 Q. Did you locate a point or a
20 rough point with the mapping grade,
21 or your staff?
22 A. Yes.
23 Q. And approximately how far from
24 the final location of the borehole
25 was that point; do you know?

0061

1 A. I don't know.
2 Q. Was it Joe's decision or a
3 joint decision to come up with --- to
4 decide to go have the survey grade
5 brought into place to accurately
6 locate the borehole based on the
7 knowledge of the mapping grade
8 survey? Who made that decision? Can
9 you describe it a little bit for us?
10 A. I made the decision of what
11 equipment to mobilize and send. I
12 told Joe over the telephone what I
13 was doing and what my plan was. Joe
14 probably discussed that with somebody
15 there, I'm going to guess Chuck, and
16 came back and said, that sounds good.
17 Q. Have you or your company in
18 the past had to locate boreholes for
19 mine operators for them to drill?
20 A. Yes.
21 Q. Has that been a successful
22 operation in the past?
23 A. We've hit them all so far.
24 MR. RUTLEDGE:
25 Can we take a break,

0062

1 John?
2 MR. UROSEK:
3 Yes.
4 SHORT BREAK TAKEN
5 BY MR. UROSEK:
6 Q. Gary, just to go over just a
7 little bit more on the surveying work
8 that you did. You used the phrase
9 planametrics. Can you describe that

10 a little bit for us.
11 A. Planametrics refers to the
12 planar map that's over top of the
13 mine workings. There's a difference
14 between what you would usually call a
15 topo map, which shows contours of
16 elevation and relief. That's a topo
17 map. Just the component of that that
18 shows things like roads, houses,
19 physical features, those are the
20 planametrics, in other words in plan
21 view, that show what's on the surface
22 above the mine.

23 Q. And you indicated that you
24 used that or that they used that at
25 the mine to get a general location of

0063

1 where they were going to put the
2 borehole?

3 A. Yes, sir. That's where you
4 look to see where you drive to down
5 the road to get a starting point.

6 Q. Now, that mine, that map, that
7 particular map, was that something
8 that was in your office or was that
9 map already at the site?

10 A. We had the planametrics in
11 AutoCAD that we could overlay the map
12 and manipulate it to see what we
13 wanted to see. So we had it in our
14 office. Joe had it on his computer.
15 Our guys in the field had hard copies
16 with them that showed that.

17 Q. At the beginning, though, I
18 mean, where was that? In other
19 words, did Joe have that at the
20 beginning, on January 2nd, at, say,
21 six o'clock in the morning? That
22 particular map, was it on your
23 computer in your office or was it on
24 Joe's computer in his office? And
25 the hard copies, where would they

0064

1 have been?

2 A. We both had it on our
3 computers. It's an integral part of
4 our mine map to show the surface
5 features.

6 Q. Okay.

7 A. The hard copies were produced
8 that day from the digital copy to
9 send with the survey crews into the
10 field.

11 Q. Would they have been produced
12 at your office, at the mine site or
13 at both locations?

14 A. The ones the survey crews had

15 came from our site. They could have
16 been produced at either one.
17 Q. You mentioned that you used
18 two points, one at the Sago Mine and
19 another mine. Can you explain a
20 little bit why you couldn't just pick
21 a location along the road or use a
22 state map to come up with the
23 location of where to put the
24 borehole?
25 A. Every mine, by law, has to

0065

1 have some survey points outside
2 somewhere that are tied in to the
3 underground system, surveying system.
4 Those are called permanent points, as
5 a label more than as a describer
6 sometimes. And it's from those
7 points that one can reference where
8 the mine works are on the surface.
9 We did not have any points that we
10 were comfortable in using outside of
11 those points at the mine site, at
12 Sago, other than what we knew to be
13 in existence at Spruce.
14 Spruce is another mine owned
15 by the same company that we had
16 familiarity with. We had done work
17 there. And we elected to use a point
18 from Sago and a point from Spruce
19 because of their distance apart. In
20 doing the GPS work, we wanted a
21 rather long baseline, long being, in
22 this case, 5,000 or 6,000 feet, that
23 was perpendicular to the direction
24 that we were trying to project. Had
25 we used the points that were just at

0066

1 Sago, we may not have gotten as good
2 a result --- a resolution to the
3 problem. Don't know because we
4 didn't try. We felt more confident
5 using those two points that were some
6 distance apart and oriented
7 perpendicular to where we were going
8 to get the best resolution and the
9 best answer that we could get in the
10 field.
11 Q. Well, these base points, we
12 all know --- our own property is all
13 surveyed. Some surveyor comes in and
14 actually locates the points where our
15 property lines are. And of course,
16 there were properties above the Sago
17 Mine that I'm sure at one point
18 someone would have surveyed those.
19 And of course there's highways there

20 and different things. Why couldn't
21 you use those survey points to locate
22 the borehole?

23 A. Property boundary corners or
24 surveys are a completely different
25 area of practice from mine surveying.

0067

1 In the case of Sago and Spruce, we're
2 working on what's called the state
3 plane system, which is a system set
4 up by the federal government and by
5 the state to reference any and
6 everything within their zone. So we
7 had elected to use those coordinates
8 --- that coordinate system from the
9 beginning to facilitate something
10 like we were doing here.

11 In the case of boundary
12 surveying, those boundaries don't
13 have to be connected to anything.
14 They can be free-floating because one
15 bases property lines more on evidence
16 than you do a given coordinate survey
17 point in general.

18 So locating a tree and a rock
19 and the intersection of a road
20 certainly don't give us the accuracy
21 that we need to go out and put a
22 borehole into a mine where you've got
23 two and a half miles of underground
24 surveying and two and a half miles of
25 surface surveying between the two

0068

1 points.
2 Q. Okay. I think that clears up
3 that particular issue. You've
4 mentioned, and I know you've --- you
5 mentioned different folks coming to
6 the mine from different locations in
7 our discussions. Just to make sure
8 that I have it clear, can you go over
9 again who all was at your office and
10 who would have left either their
11 house or their office and come to the
12 mine for this effort, and approximate
13 times if you can remember those.

14 A. Matt Ashley was the employee
15 of Alpha Engineering that was living
16 in Sutton. And he was the one who
17 had the mapping grade GPS at his home
18 on the weekend. David Prelaz, is a
19 P.E., is the engineer that works for
20 Alpha Engineernig that came to the
21 office. He was on his way to the
22 office when I called him at roughly a
23 little before 11 o'clock. Mike
24 Gosnel is an engineering tech and

25 surveyor that is an Alpha employee.

0069

1 He was called by David at some point
2 and came to our office to help with
3 the calculations. And then he was
4 the lead or the crew chief in the
5 survey crew that we sent to do the
6 work.

7 Q. Did Dave --- not to interrupt,
8 but did Dave stay at the office the
9 rest of the day, or did he, at some
10 point, travel to the mine site?

11 A. No. His assignment was to
12 stay at the office in communication
13 and produce whatever they needed.

14 Q. And that check calculation,
15 approximately how long did that take,
16 that you did at the office?

17 A. Well, there are a number of
18 checks and a number of calculations.

19 Q. The very first one that you
20 just had indicated that he went in
21 and you were going to check the ---
22 go over the check survey that had
23 been conducted on Friday.

24 A. As I recall, that took
25 something like an hour and a half,

0070

1 two hours, to go through and check
2 everything and make sure that we were
3 all --- we had everything adjusted
4 right.

5 Q. I'm sorry. I'll let you get
6 back. I think you mentioned Mike and
7 what he was doing.

8 A. We had Chris Kelley, who was
9 an Alpha employee, was called in to
10 make up the second man that we were
11 sending from Beckley. Matt made the
12 third man on the survey crew. He
13 was, by that time, already on site.
14 Then I called Marshal Robinson, who
15 is a principal in Allegheny Surveys,
16 a company that we have worked with
17 for 10, 12 years, doing this kind of
18 work and with whom we share this GPS
19 equipment, called him and he pulled
20 out some of his people, their names I
21 don't know, to come and help him.
22 And he also called another gentleman,
23 who was a leading GPS expert, lives
24 in Teays Valley. Called him out to
25 go with us, not because we thought we

0071

1 particularly needed him, but we
2 really wanted somebody else to check
3 us.

4 Q. Do you know what time ---?
5 A. So we wanted a certain level
6 of redundancy.
7 Q. Do you know what time those
8 folks all --- I assume at some point
9 they all came together at the mine to
10 do the final survey. Do you know
11 what time they all would have gotten
12 there?
13 A. It was somewhere in the seven,
14 eight o'clock range. Somewhere in
15 that general vicinity.
16 Q. And I know you indicated this.
17 Their mission was to survey the spot
18 for the borehole as accurately as
19 possible, and so they have to go out
20 in the field to do that and take
21 their equipment out to do that. And
22 then after that, they do a series of
23 calculations. So how long would it
24 take to actually do the work in the
25 field before they started their

0072

1 calculations?
2 A. Generally, you let the
3 receiver sit on the site, on the
4 points for 30 minutes to an hour. It
5 depends on signal strength. It
6 depends on the constellation of the
7 satellites. The longer you let them
8 sit and receive the signal, the
9 higher the degree of accuracy. So we
10 like to let them sit as long as we
11 can. However, in this case, of
12 course, we wanted to sit long enough
13 but not too long. So typically
14 speaking, we're talking about an hour
15 maybe by the time you get --- after
16 you get set up and get receiving.
17 Then the actual calculations may ---
18 you know, realize you got a guy
19 working in the dark on the tailgate
20 of his truck with a laptop computer.
21 We're probably another 30, 40 minutes
22 by the time he had done everything
23 and calculated it and checked it.
24 Q. So you had mentioned typical.
25 So it's about an hour and about 40

0073

1 minutes. That's typical. Is that
2 pretty much what happened here?
3 A. Let's say a couple hours.
4 Q. A couple hours?
5 A. No.
6 Q. And that's for the whole
7 process?
8 A. Now, realize that in this

9 particular case we first tried to use
10 the real-time equipment. But that
11 because of the radios not
12 communicating properly, we couldn't
13 do that. That would have cut the
14 time down significantly. But again,
15 because of the radios not working
16 properly --- and I don't know why at
17 this point, I'd still like to know,
18 but we had problems with all kinds of
19 radio equipment that evening. Now,
20 we've got Joe's GPS equipment, our
21 mapping grade units, the real-time
22 equipment. And I seem to recall
23 there being some other problems with
24 radio transmitting receiving, that
25 evening. Why, I don't know. It was

0074

1 just one of those things that
2 happens.
3 Q. Well, just so I understand
4 then. At say seven o'clock, they
5 would be all there and prepared to
6 start. And they would have tried to
7 do it the first method, but the radio
8 is ---. And how much time would that
9 have taken before they changed to the
10 other method?
11 A. As I recall, as soon as we set
12 the equipment up, we saw that it
13 wouldn't work. I spoke with them and
14 said, quit trying. You know, we've
15 had other radio problems. There's
16 something in the atmosphere. Let's
17 go with what we know is going to work
18 now. Joe Myers was in agreement with
19 that. So we went to the receiver
20 mode and post-processing.
21 Q. So the receiver mode, was
22 there like a half an hour there?
23 A. Maybe.
24 Q. Half an hour. Then the
25 receiver mode, that would have been

0075

1 intact for about an hour?
2 A. Probably.
3 Q. And then the processing would
4 have been another 45 minutes to an
5 hour?
6 A. Probably. And there's some
7 travel time in there, too. So all
8 tolled, you're talking somewhere in
9 the neighborhood of three --- say
10 three hours, three and a half hours,
11 somewhere in that neighborhood.
12 Q. Thank you. After the borehole
13 was completed on that evening --- or

14 that morning, actually, what role did
15 your folks have, if any, for the rest
16 of the rescue operation?
17 A. We were asked to locate two
18 more holes at that time. One of them
19 was at the tailpiece of the One Left
20 section. One of them was at the
21 drive for tailpiece --- right in the
22 area of the mouth of Two Left. The
23 hole that went into One Left was
24 completed. The hole that went into
25 the drive area of Two Left was not

0076

1 completed. It went down so far and
2 stopped before they actually drilled
3 in, because they had completed the
4 rescue part.

5 We were asked to locate, from
6 those points, the gas wells, the four
7 gas wells that were in the immediate
8 area. We did that.

9 Q. Did your folks have any role
10 in the command center, in any of the
11 decisions or any of the actions that
12 were going on throughout the rescue
13 efforts in the command center?

14 A. No, sir.

15 Q. I think I'm ready to change to
16 another subject.

17 MR. UROSEK:

18 Mike, are there any
19 questions?

20 BY MR. RUTLEDGE:

21 Q. You just mentioned that you
22 were asked by the company to locate
23 gas wells --- you said four gas wells
24 that were around that property?

25 A. Yes, sir.

0077

1 Q. And your survey of those gas
2 wells, were the initial surveys
3 accurate? Did the surveys that you
4 made at this time coincide with
5 original surveys?

6 A. Yes, sir. As I recall, they
7 were all within a foot or two, which
8 is pretty good.

9 Q. You gave a lot of testimony,
10 we appreciate that. If you can, tell
11 me --- when was the first time that
12 you were aware that a borehole was
13 being planned or that the company
14 wanted you to plot a location for a
15 borehole? What's your best estimate
16 of when you first became aware that a
17 borehole was in the works?

18 A. Somewhere around 1:00 p.m.

19 Q. About 1:00 p.m., okay. And do
20 you know who from the company asked
21 you that or gave you that information
22 or made you aware of that?

23 A. Joe Myers.

24 Q. Joe Myers. And if you
25 can briefly, you mentioned that a

0078

1 point --- a road was put in and a
2 site was prepared, okay, and a point
3 was picked on that site, okay. And
4 then that had to be moved before the
5 actual --- the whole location had to
6 be moved before the actual drilling
7 began?

8 A. No, sir. This --- it was my
9 understanding that the site had to be
10 made larger to accommodate the rig.

11 Q. Okay. So ---.

12 A. The point wasn't moved from
13 the time it was set conventionally.

14 Q. I understand now. Thank you.
15 That cleared up a lot for me. Are
16 you aware or do you know what it
17 would have taken on the site
18 preparation or anything in the site
19 area if, for example, someone had
20 said, we want to hit the spot 100
21 feet in front of this tailpiece?
22 Would that have taken a lot longer to
23 do or was the site conducive to that,
24 or would that have created problems
25 or

0079

1 --- are you aware of anything at all
2 about that?

3 A. I'm not familiar enough with
4 that specific area to say.

5 Q. And in using the GPS
6 equipment, you stated that it's a
7 dynamic process, that the signal
8 strength is always changing and that
9 the position of the satellites is
10 always changing; is that correct?

11 A. Yes, sir.

12 Q. So if I set my GPS unit up
13 right here right now, I might have
14 four satellites with a certain signal
15 strength?

16 A. No, sir. If you set it up
17 right there, you'd have no satellites
18 because you can't use GPS inside a
19 building.

20 Q. Okay. I apologize then. If
21 we just pick any certain spot
22 outside, anywhere, and at one --- as
23 soon as we set this equipment up

24 there, we might have X number of
25 satellites and X number of --- or X

0080

1 amount of signal from those. Two
2 hours later, four hours later, six
3 hours later, that would all be
4 completely different because of the
5 movement of the earth and the
6 movement of the satellites, the
7 number of satellites and the strength
8 of those things would change, you
9 know, over those period of hours?

10 A. Yes, sir.

11 Q. So what would be an accurate
12 station outside somewhere today may
13 not be tomorrow or what was
14 inaccurate today could be accurate
15 tomorrow?

16 A. Yes, sir.

17 Q. And I'm being very
18 hypothetical here, so --- and let's
19 use the Two Left section of Sago
20 since we're all familiar with that.
21 If the company asked you, okay, we're
22 turning Two Left section and it's
23 been driven in there four or five
24 breaks, okay. If the company asks
25 you to go on the surface and plot me

0081

1 two points, say one in the far left
2 entry and another point in the far
3 right entry, plot me two points there
4 and put me a stake in the ground, how
5 long would that take? You know,
6 would that be a long, drawn-out,
7 expensive process or something that
8 could be done fairly easily?

9 A. Mike, do you mean under normal
10 circumstances?

11 Q. Absolutely. Normal, everyday,
12 everything is normal circumstance,
13 just for whatever reason I decide I
14 want these two points on the surface.

15 A. In the case of Two Left, in
16 that general area, we would most
17 likely use the same methodology we
18 used here. And it would be at least
19 a couple of days.

20 Q. A couple of days.

21 A. At the very least.

22 Q. Three or more people?

23 A. For three people, plus your
24 office support.

25 Q. Okay. So three people in the

0082

1 field for a couple of days and then
2 office time or whatever to ---

3 A. To do the calculations.
4 Q. --- do the data entry and ---
5 A. Processing.
6 Q. --- process and stuff and so
7 on. And if that had happened or if
8 that had been done, would those two
9 points be usable three months down
10 the road, when the sections had
11 advanced so far to maybe to be able
12 to plot a borehole location or
13 something like that?
14 A. Yes.
15 Q. Those two plots would be
16 usable and would speed that process
17 up?
18 A. Well, the two points that were
19 installed in this instance are still
20 there and have been used now to spot
21 and drill, I believe, eight boreholes
22 into the mine, in that area. So to
23 answer your question, yes.
24 Q. Okay. The original survey
25 that you did or your company did,

0083

1 your crew did, have been used to do
2 eight additional holes?
3 A. I think there's a total of
4 eight holes now, without stopping to
5 count them, that are in the First
6 Left, Second Left and old Second Left
7 areas.
8 Q. Okay. Gary, just to try to be
9 a little more specific, and we're
10 trying to make an assumption here,
11 but let's assume that under normal
12 circumstances we've put these two
13 points up there on the surface when
14 we first started driving Two Left
15 section. Okay. Now, three months,
16 six months down the road, whatever it
17 is, an emergency occurs and we have
18 need to accurately drill a hole to a
19 specific spot in the mine. Would
20 those two points be usable to spot a
21 specific point here that we want to
22 hit, like I said, three months, six
23 months later, and would they speed
24 that process up?
25 A. If they had not been

0084

1 disturbed, they'd be available to do
2 that. And yes, it would speed the
3 process up if you had points there
4 close by.
5 Q. How much would it speed the
6 process up?
7 A. In this particular case, and

8 we're speaking very hypothetically,
9 ---
10 Q. Of course.
11 A. --- it would just depend on
12 the terrain and where they actually
13 were. And those kinds of questions I
14 hesitate to answer because we don't
15 know the distances. We don't know
16 the terrain. We don't know the
17 specifics of the site. I don't know
18 the ground that you'd be talking
19 about, so ---.

20 MR. RUTLEDGE:
21 That's all I have for
22 the moment.

23 BY MR. UROSEK:
24 Q. Gary, in response to a couple
25 of the questions that he had asked,

0085
1 to make sure so that I understand
2 this correctly, the --- as I
3 understand, when the mapping grade
4 GPS system got there, they were able
5 to locate some spot in the proximity
6 of where the borehole was going to be
7 located to put a pad in. Do I
8 understand that correctly?

9 A. Yes. There were problems with
10 the PDOP. And there was a certain
11 amount of estimation that had to go
12 into what they were saying and doing.

13 Q. And did they try to actually
14 locate a spot where the borehole was
15 going to be with the mapping grade or
16 did they just locate a place to begin
17 road construction and pad
18 construction?

19 A. My instructions to them were
20 to locate enough area to where they
21 could build the road and build a
22 rough site, that we do not spot
23 holes, if we can avoid it, with the
24 mapping grade.

25 Q. Did they attempt an

0086
1 approximation of where the borehole
2 may be at that point in time?

3 A. They attempted an
4 approximation of about the area
5 involved. To say that you put your
6 foot on the ground and we're going to
7 drill here, I don't think so.

8 Q. Okay. I guess my next
9 question was, compared to that
10 approximation and then the final
11 location, which was many hours later,
12 do you have any idea how close they

13 were with their approximation? And
14 is that part of the reason that the
15 road or the pad had to be made
16 bigger?
17 A. I don't know.
18 Q. I'd like to use Exhibit One
19 that we'd spoken about earlier and
20 ask you a question. If I --- instead
21 of asking you to drill a borehole as
22 you did, near spad --- I believe it's
23 spad 4270, ---
24 A. Yes, sir.
25 Q. --- if I would have --- if the

0087

1 question to you would have been you
2 wanted to locate a borehole in the 26
3 crosscut in the Number Three entry,
4 right where I've just drawn a circle,
5 if that were what were asked of you,
6 and knowing that there's no spad in
7 that location, would that have been
8 possible?
9 A. Yes.
10 Q. And would you have been able
11 to do that accurately or would there
12 have been a less accurate --- would
13 you have been able to do it as
14 accurately as you were able to spot
15 the one that you did, based on the
16 information that you had available to
17 you?
18 A. At that time, to have put a
19 borehole there would have been
20 somewhat more risky than putting the
21 borehole where we did. Now, with
22 20/20 hindsight, yes, I think we
23 could have hit that just fine. At
24 that particular moment, with the
25 information we had at that particular

0088

1 time, had we been told that that's
2 where it needed to go, we would have
3 tried our best. Most likely, it
4 would have hit, based on what we know
5 now. But at the time, I would have
6 resisted somewhat if I could have.
7 Q. You wouldn't have felt s
8 comfortable because the data that you
9 had wasn't as secure --- I'm just
10 trying to put it in some kind of
11 words.
12 A. I would have been more
13 comfortable with the outby point at
14 the tailpiece because going inby,
15 yes, we --- as I said, now, knowing
16 what we know, we could have hit that.
17 Q. Excluding that information?

18 A. But not knowing that, we would
19 have been relying on foreman's maps
20 and assuming that they were driving
21 to places straight ahead.
22 BY ATTORNEY HARDY:
23 Q. What do you know now that you
24 didn't know then that causes you to
25 say now, knowing what I know, I would

0089

1 have been more comfortable?
2 A. Because I've stood at spad
3 4275 and looked at where it is with
4 relation to the mine, and I know that
5 it's in a good location. It's right
6 in the entry. And I know that the
7 place was driven pretty much on
8 centers. And I've walked it.
9 BY MR. UROSEK:

10 Q. Knowing, Gary, --- again, not
11 knowing what you know now, but
12 knowing what you knew at the time and
13 someone had asked you, I want to put
14 a borehole as close to the face as I
15 can and knowing the importance of
16 that particular borehole and you were
17 to do that, what would be the ---
18 knowing the information you had
19 available to you, what would be the
20 closest you'd feel comfortable
21 saying, if we put it here, I feel
22 comfortable about it's going to hit?
23 A. Realize that any time you're
24 going to drill a hole much ---
25 whether it's in this situation or

0090

1 just normal course of work, there's
2 always a certain tightness that goes
3 with that. And it's a matter of
4 degree. In this particular case,
5 knowing that there was an
6 intersection there, intersections
7 make much nicer targets than dead-end
8 places. Knowing that there was an
9 intersection there, had we been asked
10 to hit any of those three
11 intersections in 26 break, we could
12 have --- we would have gone for it
13 and had a reasonable degree ---
14 reasonable to comfortable degree that
15 we would have hit it. We would have
16 been, of course, more comfortable
17 being outby, but it wouldn't have
18 bothered me a whole lot at that point
19 more than I was already bothered to
20 have tried to hit one of those three
21 intersections in crosscut 26.
22 Q. Okay.

23 MR. RUTLEDGE:
24 Can we take a minute?
25 SHORT BREAK TAKEN

0091

1 BY MR. UROSEK:
2 Q. Gary, in locating boreholes,
3 in addition to just surveying them in
4 relation to where they're at in the
5 mine, are there other factors, such
6 as topography, that are considered in
7 locating those boreholes?
8 A. Speaking of boreholes in
9 general?
10 Q. Well, in general and in
11 specifically at the Sago Mine, this
12 borehole we're speaking about.
13 A. In general, yes, you do,
14 accept that sometimes you can't pick
15 the place underground. Mother Nature
16 picks it for you by simply where
17 something is underground, and you
18 have to accommodate accordingly.
19 In this particular case, I was
20 not familiar with the ground
21 personally. I had to leave that to
22 other folks to decide where they
23 wanted the borehole drilled. Other
24 issues enter into it as well, like
25 property control, access to water,

0092

1 drainage. Lots of other things enter
2 into it. And I know from my mining
3 experience and from my knowledge of
4 emergency operations that the
5 decision to put it in a particular
6 place, once made --- I wasn't on site
7 to know the reasons why. Unless I
8 saw some glaring problem with it, I
9 needed to comply with their wishes.
10 Q. And if someone that was making
11 that decision had looked at the site
12 and it was on the side of a cliff or
13 someplace that was very difficult,
14 that there was some reason they
15 couldn't, would they factor that into
16 their decision on where to put the
17 borehole?

18 A. Assuming they could move it,
19 yes.
20 BY MR. RUTLEDGE:
21 Q. Gary, you stated that someone
22 at the company told you where they
23 wanted the hole. And I believe your
24 comment was, you know, they told you,
25 and that was good enough for you.

0093

1 You didn't question their decision to

2 where it was --- where the hole was
3 to be put or anything.
4 A. I think my question to --- Joe
5 Myers is the one who told me. I
6 think my question to him was
7 something along the lines of who
8 wants it there or why there or
9 something of that nature. He said,
10 that's where Sam Kitts wants it. And
11 that was good enough for me.
12 Q. And since that time, have you
13 learned anything that --- as to why
14 that site might have been selected?
15 A. It's my understanding that the
16 goal of the hole was to check the
17 atmosphere and to look around with a
18 video camera to see if one could tell
19 if that was the origin of the
20 explosion. Because at that point I
21 don't think anybody knew for certain
22 where the explosion had come from.
23 So I think, from my understanding, he
24 had two reasons. One was to look
25 around and see if that's where it

0094

1 came from. And the other one was
2 check the atmosphere.
3 Q. And just a general opinion,
4 have you visited that site at that
5 borehole --- the surface site of that
6 borehole since this incident has
7 occurred?
8 A. Yes, sir.
9 Q. And in your general opinion,
10 was that site --- I have no idea of
11 what the site looks like, if it's on
12 a steep hillside or flat place or
13 anything else. In your general
14 opinion, was that an easy site to
15 prepare, a moderately difficult or a
16 very difficult site to prepare?
17 A. I'd have to think about that
18 some because I just don't recall
19 exactly what it all looked like. I
20 was there in the dark.

21 MR. RUTLEDGE:

22 Okay. Thanks.

23 BY MR. UROSEK:

24 Q. Switching gears, Gary, a
25 couple questions on the seals. Are

0095

1 you familiar with the seals that were
2 in the old Two Left mains area?
3 A. Yes.
4 Q. Did you have any input in the
5 construction or the design into those
6 seals at all?

7 A. No.
8 Q. Did you have any input into
9 using Omega block seals versus some
10 other type of seal at that location?
11 A. No.
12 Q. Did you have any input into
13 the location of those seals?
14 A. No.
15 Q. Okay. Can you explain ---
16 changing gears again on you, Gary, to
17 the ventilation plan we're going to
18 talk a little bit about now. Do you
19 have any responsibility in the
20 submittal of the ventilation plan to
21 MSHA?
22 A. Our company prepares the map
23 that goes to MSHA for the ventilation
24 plan and may have, from time to time,
25 prepared other exhibits that go with
0096
1 the plan at one time or another. I
2 don't recall right now whether or not
3 we had for Sago in the immediate
4 past, but we do that from time to
5 time.
6 Q. As part of the ventilation
7 plan for Sago, there was some
8 information provided to use the Omega
9 type seals. Were you involved in
10 that plan process at all?
11 A. No, sir.
12 Q. Your company wasn't involved
13 in submitting that?
14 A. No, sir.
15 Q. You indicated that you are
16 responsible for the mapping portion
17 of that. And who in your company
18 would be responsible for that, to
19 ensure that it's accurate?
20 A. I am.
21 Q. For example, on the location
22 of the seals in Two Left, how would
23 you --- would you survey that or
24 would that information be provided to
25 you or how would you find out about
0097
1 that?
2 A. That was information that was
3 provided to us by the mine management
4 people. We would only locate them by
5 survey if we were requested to.
6 Q. Were you requested to do that
7 in this case?
8 A. No.
9 Q. At some point, someone would
10 have told you that those seals were
11 being constructed and there would be

12 an amendment to the plan. The
13 amendment to the plan, were you
14 involved in that at all?
15 A. No, sir.
16 Q. And how would you have learned
17 that they were going to be putting
18 seals in and the location of those
19 seals?
20 A. As I recall, we were sent a
21 map that showed the seal locations as
22 proposed. And when the seals were
23 built, we were told that it was
24 completed, and we updated our maps
25 accordingly.

0098

1 Q. Would any of your staff have
2 seen the seals being constructed or
3 have any part of that?
4 A. Not to my knowledge.
5 Q. Are you familiar with the old
6 Two Left mains area, the area inby
7 the seals?
8 A. Yes, sir.
9 Q. Have you been there prior to
10 January 2nd?
11 A. No, sir.
12 Q. Would your staff have been
13 there prior to January 2nd?
14 A. Yes, sir.
15 Q. Do you recall any of your
16 staff ever, prior to January 2nd,
17 indicating to you any unfamiliar ---
18 or any unusual patterns on the roof
19 in that area?
20 A. Not that I recall.
21 Q. Subsequent to January 2nd,
22 were you involved in mapping an
23 anomaly in the roof in the Two Left
24 area?
25 A. Yes.

0099

1 Q. That anomaly is what I'm
2 speaking of. Do you recall before of
3 anyone mentioning that anomaly, that
4 they had seen it or noticed something
5 unusual prior to January 2nd?
6 A. Not that I recall.
7 Q. As far as the investigation,
8 what services did Alpha Engineering
9 provide to ICG after the accident?
10 A. Through the rescue phase, we
11 provided surveying and some limited
12 mapping services. During the
13 recovery phase, we provided
14 assistance in the mapping and the
15 preparation of the plans to go
16 underground for the rescue teams and

17 provided technical help through the
18 command center during the recovery
19 process.
20 Q. The technical help to the
21 command center, would that have ---
22 what would that have been in the form
23 of?
24 A. Helping them with ventilation,
25 estimating what the ventilation was
0100
1 going to be, which stoppings or which
2 controls were most important to get
3 back into service, in some cases how
4 to do that, the methodology with how
5 to go back into the mine.
6 Q. Okay. Just to make it clear,
7 that's the recovery. That's after
8 the rescue was completed?
9 A. Yes, sir.
10 Q. Are you part of the Sago
11 investigation team for ICG?
12 A. Yes.
13 MR. UROSEK:
14 Do you have any
15 questions, Mike?
16 BY MR. RUTLEDGE:
17 Q. Gary, you said a little while
18 ago that you were familiar with the
19 seals that were in the old Two Left
20 section?
21 A. Only after the fact, yes.
22 Q. So John asked you, and you
23 didn't see them beforehand, you
24 didn't map them or anything
25 beforehand. So your only familiarity
0101
1 with those seals is after the
2 explosion and during the
3 investigation of that area?
4 A. I knew that the seals had been
5 installed by the changes to the map.
6 Other than that, had no discussion
7 concerning it until after the fact.
8 MR. RUTLEDGE:
9 Okay. Thanks. That's
10 all I have.
11 BY MR. UROSEK:
12 Q. Gary, have you been involved
13 in any other investigations in the
14 past where seals have been damaged,
15 compromised, destroyed by an
16 explosion?
17 A. Would you repeat the question?
18 I'm not sure I understand.
19 Q. Prior to January 2nd, ---
20 A. Okay.
21 Q. --- have you been involved in

22 any investigation at any mine where
23 ventilation explosion-resistant seals
24 have been damaged, compromised,
25 destroyed by any type of explosion?

0102

1 A. Not directly. In an
2 investigative team, such as is going
3 on now, no. I have had some
4 experience around the old Birchfield
5 Mine when it had an event that was
6 credited to an explosion behind the
7 seals. And I was doing some work at
8 Oak Grove in Alabama. I'm not
9 certain if that was during or just
10 after they had had a similar event.

11 Q. Did you actually go
12 underground at those two operations
13 and observe the seals?

14 A. I did not, no. At Birchfield,
15 as I recall, no one got to the seals
16 that blew out, not that I recall.
17 And at Oak Grove, I didn't go to that
18 area specifically.

19 Q. Do you recall what type of
20 seals were used at those two
21 operations?

22 A. I don't recall at Birchfield.
23 It seems to me that Oak Grove may
24 have been pumpable seals, but I don't
25 recall exactly.

0103

1 Q. Do you recall the time at
2 Birchfield, approximately? The year?

3 A. '95, '96, '97, somewhere in
4 that time frame.

5 Q. You were able to go back in
6 after the event and observe the seals
7 at the Sago Mine or the remnants of
8 the seals?

9 A. Yes.

10 Q. Is there any information you
11 can provide to the investigation team
12 that would help us understand what
13 happened --- at Sago Mine in
14 particular, what happened to those
15 seals?

16 A. At this time, I'm working
17 under a confidentiality agreement
18 with ICG. And anything that I would
19 know about the area is covered by
20 that agreement, and I'm not at
21 liberty to discuss it.

22 MR. UROSEK:

23 Mike?

24 BY MR. RUTLEDGE:

25 Q. Gary, you said that later on

0104

1 at Sago you drilled --- or excuse me,
2 you plotted a location for a hole to
3 be drilled in One Left?
4 A. Our company did, yes, sir.
5 Q. Your company did, yes. Okay.
6 Can you give me any estimate of how
7 long it took you to plot that hole to
8 establish a location for ---?
9 A. As I recall, it was sometime
10 Tuesday morning. The exact time I
11 don't recall right now.
12 Q. Can you give me an estimate of
13 the amount of time that your company
14 or employees spent in plotting that
15 location? Did it take them an hour
16 or two hours, three hours, six hours?
17 A. As I recall, it was three or
18 four hours.
19 Q. Was that hole as accurate as
20 the first one?
21 A. It hit the mine.
22 Q. And one other thing. You
23 mentioned earlier that your employees
24 had helped plum the drill?
25 A. Yes.

0105

1 Q. Can you give me just a brief
2 explanation of what that involves?
3 A. What you're trying to do is
4 set a point on the surface that is
5 directly above a point in the mine.
6 If the drill doesn't set up vertical
7 and plum, it will drill at an angle.
8 So what we want to do is we want to
9 plum the steel, in other words, make
10 sure that it's vertical, straight up
11 and down, when it starts to drill.
12 Holes have a tendency to drift. It's
13 the nature of drilling. And there's
14 certain things you can do to minimize
15 that drift. But there's one thing
16 that you can do before you start
17 drilling that will help you in that,
18 and that is to make sure that the
19 drill steel and the mast is plum
20 straight up and down, aimed for the
21 point underground. That's what we
22 call plumbing the rig.
23 Q. And is that done with
24 equipment or a tool or by
25 measurements or ---? Very briefly,

0106

1 you know, is there --- what's the
2 procedure for doing that?
3 A. The best way to do it, that
4 I'm familiar with, is to set up two
5 transits at 50 or 60 feet, 100 feet

6 away from the rig, that are 90
7 degrees apart, so that you can set
8 the transit up, level it, and then
9 take your scope and look up and down
10 the rig with your crosshair and align
11 it to the crosshair.

12 MR. RUTLEDGE:

13 Okay. Thanks. That's
14 all.

15 BY MR. UROSEK:

16 Q. Gary, just something I just
17 thought of. When we talked about
18 elevations and getting ---
19 determining elevations, that's
20 something that you said you go back
21 and do. How close do you determine
22 the elevations? Approximately how
23 many feet in the mine do you do an
24 elevation determination?

25 A. I'm not sure I understand your

0107

1 question, but I'll tell you what we
2 do. Typically speaking, we get an
3 elevation on the bottom in about
4 every intersection in the two outside
5 entries of the panel.

6 Q. So approximately every 100
7 feet?

8 A. It would be every 70 feet,
9 every 100 feet, maybe 105 feet.
10 That's typically what we do.

11 Q. So everywhere there's a spad
12 that's in the intersection in the
13 outside entries, you would determine
14 an elevation there?

15 A. We don't use the spads to
16 determine the elevations, other than
17 we use them as benchmarks, in other
18 words, an elevation keeper, elevation
19 reference in the roof. We survey the
20 floor to get the floor elevation.

21 Q. Okay. One other question. If
22 you were going to locate a --- trying
23 to drill a borehole into the mine and
24 you wanted to do it without
25 conducting a survey, just using the

0108

1 maps that were available of the mine
2 and the maps that you have on the
3 surface, what do you think, as a
4 surveyor, the success rate may be of
5 just using maps to try and locate a
6 borehole that would enter the mine?

7 A. Depending on the surveyor and
8 depending on the relative accuracy of
9 the maps, you probably have about the
10 same chances there as in Las Vegas.

11 It's a crap shoot. By nature, if
12 you're over the works --- about 40
13 percent of the area is mined. So you
14 can randomly --- if you know about
15 where a panel is, you can go out over
16 top of it --- you got a 40-percent
17 chance of hitting an opening probably
18 just randomly going out. I don't
19 know that I'd give it much better
20 odds than that.
21 Q. That's all I needed. I just
22 was interested in your opinion on how
23 to do that.

24 MR. UROSEK:

25 On behalf of MSHA, I

0109

1 want to thank you for
2 appearing and answering your
3 questions here today. Your
4 cooperation has been very
5 important to the investigation
6 as we work to determine the
7 cause of the accident. We ask
8 that you not discuss your
9 testimony with any person who
10 may have already been
11 interviewed or may be
12 interviewed in the future.
13 This will ensure that we
14 obtain everyone's independent
15 recollection of events
16 surrounding the accident.
17 After questioning other
18 witnesses, we may call you if
19 we need to have any follow-up
20 questions that we feel we need
21 to ask you. If at any time
22 you have any additional
23 information regarding the
24 accident that you would like
25 to provide to us, please

0110

1 contact us at the contact
2 information that was
3 previously provided to you.
4 If you wish, you may
5 now go back over any answer
6 that you have given during the
7 interview or make any
8 statement that you would like
9 to make at this time, any
10 information you think that
11 would help us in our cause to
12 determine the causes of this
13 accident.
14 A. There was one question asked
15 at break that may help explain the

16 system that we use. I used the term
17 geosynchronous. Understand that GPS
18 is using satellites that are in orbit
19 above the earth, put there by the
20 Department of Defense. Those
21 satellites are placed in
22 geosynchronous orbit, which means
23 that they stay in the same position
24 around the center of the earth all
25 the time. They're high enough to

0111

1 where they stay in the same position.
2 That's why they're --- geo, meaning
3 earth; synchronous, meaning
4 synchronized with the earth. And the
5 earth, in effect, rotates under the
6 satellites. So you're constantly
7 getting different constellations of
8 satellites that ebb and flow with the
9 level of information that you can
10 receive with your receivers.

11 MR. UROSEK:

12 Thank you very much.

13 Again, I want to thank you for
14 your cooperation in this
15 matter.


16 * * * * *

17 SWORN STATEMENT CONCLUDED

18 AT 11:22 A.M.

19 * * * * *

20
21
22
23
24
25



Scale: 1" = 50'

100'